

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PUBLIC HEARING
RE: ARSENIC IN SOIL
MIDDLEPORT FIRE HALL
MIDDLEPORT, NEW YORK
OCTOBER 1, 2007
6 PM - 9 PM

REPORTED BY:

DOREEN M SHARICK, Court Reporter
EDITH E. FORBES COURT REPORTING SERVICE
21 Woodcrest Drive
Batavia, New York 14020

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES:

JULIA MAEDL, MAYOR OF MIDDLEPORT

ANN HOWARD, FACILITATOR

PROFESSOR DANIEL WATTS

DR. ROSALIND SCHOOFF

DR. TERESA BOWERS

SENATOR GEORGE MAZIARZ

BRIAN McGINNIS, FMC

DANA THOMPSON, FMC- MIDDLEPORT

PLANT MANAGER

MATTHEW MORTEFOLIO, NYSDEC, ALBANY, NY

ROBERT PHANEUF, NYSDEC, ALBANY, NY

DANIEL DAVID, NYSDEC, BUFFALO, NY

EDWIN DASSATTI, NYSDEC, ALBANY, NY

TAMARA GIRARD, NYSDOH, TROY, NY

THOMAS JOHNSON, NYSDOH, TROY, NY

GARY LITWIN, NYSDOH, TROY, NY

MICHAEL INFURNA, EPA- PROJECT MANAGER

MARK MADDALONI, EPA, NEW YORK, NY

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. MAEDL: Thank you for coming. I'm really pleased with the turnout. And this should be a very interesting meeting. And we have some people that I would like to stand and introduce. First, I will have the representatives of the DEC, EPA and DOH stand and introduce themselves.

MR. MORTEFOLIO: My name is Matt Morteolio. I'm project manager from Albany with the DEC. I started on this project in 1986. Been working on it since then.

First one I'll introduce is Bob Phaneuf. He's my immediate supervisor from Albany. He's also an engineer with the DEC.

Next person in line there is Steve Shaws. He's with the Department of Health involved with writing some cleanup levels from the State.

Next person in line there, his name is Tom Johnson. He's a toxicologist with the New York State Department of Health. He's been on this project before.

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I don't know which direction you want to start. Person standing now is Tamara Girard. She's with New York State DOH. She's also the project manager for them on site. She's been here for a couple years now.

Person standing now is Dan David. He's from Region 9 Department of Environmental Conservation. And he's representing them here tonight.

Next one is Gary Litwin. He's with New York State Department of Health from Troy. He is the senior person here from them.

Next one is Mark Maddaloni. He's a toxicologist with the United States Environmental Protection Agency out of their Region 2 office in New York City.

Behind him there is Ed Dassatti. Also from Albany, works with the DEC as an engineer. He's, also, the senior person from the DEC here tonight.

And last but not least because of his size, is Mike Infurna, project manager

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

for EPA. He's also been on this project with me for quite a number of years. I think that's everybody. Thank you.

MS. MAEDL: The other people I would like to introduce if the FMC representative would stand.

MR. MCGINNIS: I'm Brian McGinnis with FMC and this is Dana Thompson, our plant manager for our plant here in Middleport.

MS. MAEDL: Thank you very much and we really appreciate you all coming out for this very important meeting and. Now, I'm going to turn it over to Ann Howard. She is the facilitator.

UNIDENTIFIED SPEAKER: Ann, would be possible for any elected officials that are here to identify themselves or representatives?

MS. HOWARD: Sure. Any elected officials or representatives?

MR. WARD: Jim Ward from New York State Senator George Maziarz's office. The Senator will be here this evening in

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

about a half hour.

MS. HOWARD: Anyone else?

MR. RHONY: Cal Rhony, Town of Royalton Supervisor.

MS. HOWARD: Thank you. Any other introductions? Thank you. I want to do a couple of things here. First, some housekeeping things. We do have a stenographer/notetaker here this evening. And so for tonight's meeting, we especially ask that you start, if you are going to speak, ask a question, make a comment, start by saying your name and spell your last name if it's not a commonly used surname. Please speak up. And in order to make sure that we get a proper record, we are asking that there only be one person talking at a time. There's a lot of information here tonight so we're going to try to keep to that as best we can.

A little bit about our agenda, this is a meeting that's been organized by the Middleport Community Input Group. We always have our agendas scheduled through

1
2 the input group and the group is responsible
3 for this agenda. We will have a very quick
4 overview of the corrective measure study
5 process by Professor Dan Watts, who is the
6 consultant for the Middleport Remedial
7 Advisory Group.

8 Then we will have presentations
9 and they are in the wrong order on your
10 agenda. First of all, the presentation on
11 Arsenic Background Studies by Dr. Teresa
12 Bower and I apologize again to Dr. Bower for
13 getting her name wrong. And then
14 presentations on bioavailability and
15 Biomonitoring Studies by Dr. Rosalind
16 Schoof.

17 We will then entertain questions
18 and answers about those studies. And we
19 will try to keep it to those studies. We
20 will then have a break and then there will
21 be presentations or statements by community
22 residents. We've been advised there's a
23 number of community residents who came to
24 our input group meeting in September and
25 others who may wish to make a statement this

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

evening. Then we will have responses to questions that were presented by Senator Maziarz to the State and Federal agencies. Then we will have additional questions and concerns.

For those of you who would prefer, we are asking that if you have specific questions and would prefer not to speak but would like to have us ask your question, we've provided you with cards. So if you have a question or a comment and would rather not speak but want to make sure that your point of view or your question gets addressed, please make sure you use those cards. We will have people walking around picking up cards throughout the evening.

And then before we leave this evening, the input group will have an opportunity along with Mayor Maedl to talk about what are the next steps. Please note that the Middleport Input Group is scheduled for its next meeting on November 5th, and we typically meet at 5:30 in the Masonic Lodge. So, Dan.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. WATTS: Good evening. I was asked to do a very brief introduction I guess explanation perhaps of the CMS process. And why it's becoming increasingly important for what's happening in Middleport right now. I won't go into great detail because I've done this twice before for many people in this group. I don't think we need to see all of it. If you have questions, let me know.

I want to really talk about is the steps in the corrective action process, which is what's going on in Middleport right now. There is basically three major steps. The first is a so called RCRA facility assessment that was done long ago. That's to determine whether or not there is a likelihood there is an environmental problem that needs attention. The answer to that was yes. In this community at the moment you are involved in the RCRA Facility Investigation or RFI. It appears that in many ways we are coming to the end of that process, which is what we are talking about

1
2 tonight is timely. The objective of that
3 process is to get an idea of if there is
4 contamination, the extent of the
5 contamination, the level of the
6 contamination and some idea of how many
7 people might be affected by it and to some
8 degree how they might be affected.

9 When that characterization is
10 completed -- or during that process, one
11 thing can happen. There can be interim
12 actions. That is areas may be recognized as
13 having significant problems, high levels of
14 contamination, great likelihood of exposure
15 to people. So some actions can be taken to
16 reduce the risk without a lot of further
17 study. And that's what's happened here in a
18 couple of cases.

19 The reality is when that's done, a
20 very conservative level for removal is
21 selected. That is one which is likely not
22 to be different or to be even perhaps more
23 stringent than anything that might come out
24 of further action. So that we don't have to
25 go back and redo that study or redo that

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

work again.

The next thing that can happen when the RFI is completed or will happen when the RFI is completed is a so called corrective measure study. During that part of the process, which appears we are, you know, approaching in terms of beginning it, number of things can happen. There's opportunity in that process to actually think about risk, think about exposure, think about alternatives for cleanup levels based on real data and real situations that exist in the community.

Also during that process, there will be some consideration of various alternatives for remediation. Just some possible examples, some of them may be applicable here, some of them may not. All way from doing nothing down to capping or institutional engineering controls. Other things, I mean digging, haul removal of all the contaminated materials. Think about washing the soil, incinerating the soil. That, quite frankly, that is really not an

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page 12

option for arsenic. I don't think you'd want to do that here anyway.

Latecomer to this particular list is fiber remediation because it's the only relevant evidence that's been considered. Stabilization solidification, all kinds of alternatives. Many of which require digging up the soil, doing something with it and perhaps putting it back or taking it someplace else.

So what we are trying to do tonight is I have a couple presentations about aspects that relate to -- scientific aspects that relate to the issue of establishing risk, establishing what may happen to people as a result of exposure to the arsenic that is in the soil here. So that's what we are going to talk about.

Before I introduce a statement here about scientific information, I give the statement to the students in my class and I'll give it to the people tonight. In the United States, particularly with environmental data, we are a science based

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

society. We like to have hard science that will answer the questions and lead us to a logical and meaningful conclusions.

It's important to realize that groups of responsible scientists can initially look at the same body of data and come to different conclusions. It sometimes takes further analysis of the data, further work and discussions to reach some kind of consensus. So what you may hear tonight and later as we go through this process, some different interpretations, different meanings. It doesn't mean anybody is wrong. It doesn't mean anybody is trying to go in a different direction deliberately or a wrong direction. This means further analysis is required. We will all have to think about that as we go forward. Dr. Bowers is going first, is that correct? Okay. I misunderstood.

DR. BOWERS: It's right in the program.

MR. WATTS: It's right. Then Dr. Schoof is going first.

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Page 14

DR. SCHOOFF: Yes.

MR. WATTS: I promised before her introduction, Dr. Rosalind Schoof is a Board Certified Toxicologist. More than 20 years of experience in assessing health affects from exposures to chemicals. She is a nationally recognized expert on bioavailability of metals from soil including arsenic. She currently works with Interpol Corporation. She'll report tonight on some of her work related to bioavailability of arsenic from Middleport soil.

DR. SCHOOFF: I asked Brian for a microphone that I could walk around with because I have trouble staying in one place. Thank you very much. Some of us need to wander while we talk especially if we talk with our hands.

I've been coming to Middleport, we were talking about this just before the meeting a few of us, since 1995. And I was thinking back and I realized I don't think

25 my hair was gray then and I think that's

EDITH E. FORBES (585) 343-8612

Page 15

1

2

true for a number of other people in the
room who have been working on this project.

3

4

And during that time, a number of
studies have been conducted. I've given --
come with regularity to give talks about
issues related to the arsenic toxicology and
assessing arsenic exposures. And we are
moving forward. I know sometimes some of
you may not think that's the case.

5

6

7

8

9

10

11

So tonight I'm going to focus on
two categories of studies that have been
conducted here and not by me. I was at
Exponent until about seven years ago.
Exponent, I mostly talk about some studies
that scientists from Exponent have conducted
here.

12

13

14

15

16

17

18

19

20

21

22

23

24

This one here, Middleport, many of
you are probably familiar with the exposure
study that was conducted and I'm also going
to talk about a series of studies of the
bioavailability of arsenic in soil, which is
means of looking at how much arsenic is
taken up into the body after you're exposed

25 either by ingesting soil or having soil

EDITH E. FORBES (585) 343-8612

1

Page 16

2

containing arsenic on your skin. And I'm

3

also going to try to talk a little bit about

4

how the results of those studies might

5

inform our overall assessment of risks from

6

exposure to arsenic in soil.

7

So I'll start off with the water

8

biomonitoring study. I think the intent was

9

to hold most questions until the end of both

10

my talk and Terry Bowers' talk. But if

11

you're really completely lost by something I

12

say, please wave your hand at me and I'll go

13

over it again. I don't want to leave people

14

behind.

15

So this study was paid for by FMC

16

but conducted by Exponent independently of

17

FMC. The study design was reviewed and

18

overseen by an independent panel of experts

19

from a variety of academic and government

20

institutions and participation on the part

21

of residents was voluntary. And the results

22

of this study have been published in a peer

23

viewed scientific article in the Journal

24 100107.TXT Environmental Health Perspectives. And
25 this slide shows the study area which

EDITH E. FORBES (585) 343-8612

1 Page 17
2 extended a little bit beyond the boundaries
3 of the village.
4 So I've listed here some of the
5 important features of this study. First of
6 all, there were a large percentage of the
7 residents of Middleport participated. This
8 was an important issue for the
9 representativeness of this study. There
10 were almost 50 percent of the children less
11 than seven years old participated and the
12 focus really of our efforts to look at these
13 kinds of exposures often is on children
14 because children tend to come in closer
15 contact with the soil than grownups do as
16 many of you parents might be aware.
17 But we also have -- there's a
18 pretty good percent, you know, more than 20
19 percent, probably almost 25 percent of the
20 adult -- of the total population of the
21 study area participated. And in this study,
22 the means of assessing exposure to arsenic
23 was to look at arsenic in the urine. And

24 the reason that's done is because when
25 arsenic is ingested, it's pretty rapidly and

EDITH E. FORBES (585) 343-8612

1 Page 18

2 completely excreted in the urine within the
3 next 24 to 72 hours. So urine is a good
4 measure of recent arsenic exposure. So that
5 means this study is looking at a picture of
6 the arsenic exposures in this whole group of
7 people in the prior several days.

8 And I have to get a little bit
9 into the technical terminology here because
10 you will see I say that they measure total
11 and speciated arsenic. And the reason we
12 have to do that is because there is -- a lot
13 of our food, particularly in seafood, there
14 are a lot of organic arsenicals and these
15 organic arsenic compounds are not toxic and
16 they are rapidly absorbed and also excreted
17 in urine.

18 So total arsenic measures are
19 often confounded if anyone had seafood in
20 the last three days, even if you had a
21 little tuna fish in a sandwich or clam
22 chowder, your urine arsenic will shoot up

23 because of the seafood arsenic.

24 So what we call speciated arsenic
25 is a measure of inorganic arsenic and its

EDITH E. FORBES (585) 343-8612

1 Page 19

2 metabolites and reduces, but doesn't
3 completely eliminate, that interference from
4 the seafood arsenic.

5 They also tried in the study to
6 collect toe nails because some of the
7 arsenic that doesn't go out in the urine
8 does end up in nails. And it didn't work
9 out very well. It was hard to get a big
10 enough sample and there's too often what we
11 call external contamination, which means
12 dirt on the toe nails that they just can't
13 get off.

14 So also the goal of this study was
15 to try to figure out if the arsenic in the
16 urine was at all related to exposures to
17 arsenic in soil. So to do that, you really
18 need to have measures from the yards of the
19 people you're testing of the soil in their
20 yard, and how much arsenic is in that, and
21 gardens because people come in contact with
22 soil in their gardens, but they might amend

23 the gardens with other amendments that would
24 reduce the arsenic concentration. And also
25 indoor dust, which might be affected by soil

EDITH E. FORBES (585) 343-8612

1 Page 20

2 tracked in, and play areas which might be a
3 focus of where children play.

4 There was also a questionnaire
5 administered about a lot of behaviors and
6 background information. Now, the reason
7 that we can't just measure arsenic in the
8 urine and arsenic in the soil, but we need
9 all this other information is because
10 people's exposures are governed by a lot of
11 different behaviors. And so these studies
12 are not -- you know, if it was really
13 straight forward, we'd just test five people
14 with arsenic in the soil at one
15 concentration and five people with arsenic
16 at a slightly different concentration and
17 we'd see a nice correlation. But in fact,
18 there are all kinds of factors that cause
19 variability in how much arsenic you are
20 exposed to. I'll talk about that a little
21 bit more as we go on.

Page 20

22 So this is one way to look at the
23 results of this study. This just looks at
24 the simple thing that I just mentioned to
25 you. We are looking at the mean

EDITH E. FORBES (585) 343-8612

1

Page 21

2 concentration in this whole study population
3 of arsenic in the yard soil. You can see
4 for the whole study population it was 28
5 parts per million and for children less than
6 seven, it was a little lower. And their
7 house dust concentrations were pretty
8 similar, the arsenic in the house dust and
9 then these are the mean concentrations of
10 the speciated arsenic in the urine and those
11 values are low. They are pretty much as low
12 as you see in any other study population.

13 But they don't tell the whole
14 story. What we really need to know is do
15 these arsenic concentrations in the urine
16 change with the soil concentration. So as
17 the soil concentration goes up, does the
18 arsenic concentration go up? And it didn't.

19 So what you see is that -- and
20 I'll show you a picture of the variation in
21 the urine arsenic concentrations. But the

22 urine arsenic concentrations were all less
23 than 20 micrograms per liter and they were
24 generally lower than in other populations
25 that have been tested and they did not

EDITH E. FORBES (585) 343-8612

1 Page 22

2 correlate with arsenic in the soil and dust.
3 So in this study -- within the limits of the
4 power of this study, there was no relation
5 observed.

6 There were some individuals who
7 had total arsenic in the urine that was
8 higher than the reference level of 50
9 micrograms per liter and most likely, that
10 was related to seafood consumption and the
11 reason we strongly suspect that because they
12 didn't have the same elevation in the
13 speciated arsenic.

14 And then also arsenic was measured
15 in vegetables in gardens in Middleport. And
16 arsenic does tend to be highest in leafy
17 greens naturally. But the results were
18 variable and furthermore, when that
19 questionnaire asked people how much home
20 grown produce they consumed and produce

21 consumption didn't appear to cause urine
22 arsenic levels to increase.

23 So this is another way of looking
24 at the study results. The means speciated
25 urine arsenic are those yellow dots which

EDITH E. FORBES (585) 343-8612

1 Page 23

2 are the values that I showed you in the
3 prior table. And the bars just provide you
4 with the range. So some people had no
5 detectable arsenic in their urine pretty
6 much. At least I assume that's what that
7 minimum is because it is so close to zero.
8 And the maximums are at or below 20
9 micrograms per liter.

10 So this study suggested that soil
11 arsenic is not really causing any
12 identifiable exposures in the study
13 residents. So why is that? These are my
14 thoughts. First of all, I don't think that
15 much soil is ingested. And the amount of
16 soil that people might have is we assume is
17 dictated for the most part by hand to mouth
18 activity. You have some dirt on your hands.
19 It may not be a lot, but you put your hands
20 in your mouth and especially if you are two

21 years old, you do that more often than other
22 people. So you do get some, but it's not
23 all that much.

24 Also, less arsenic is absorbed
25 into the body from the soil than is arsenic

EDITH E. FORBES (585) 343-8612

1 Page 24

2 that might be dissolved in water or arsenic
3 in food. We call that reduced
4 bioavailability.

5 And we do know that in addition to
6 that organic arsenicals that are in seafood.
7 There is arsenic in organic arsenic in
8 pretty much all the food we eat. At very
9 low levels, but we eat a whole lot of food,
10 a lot more food than soil. So even if the
11 concentrations in your food are a thousand
12 times lower than the concentrations in the
13 soil, you are still going to get more total
14 arsenic because you eat a few pounds of food
15 a day and you don't eat very much soil.

16 And then also, these studies
17 inherently -- it's hard to see an affect
18 from the soil because there is a lot of
19 variation in day to day in how much food

20 people -- how much arsenic people get from
21 their food and from drinking water. So this
22 slide shows what I think a typical normal or
23 background exposure is to arsenic from these
24 different exposure median. In other words,
25 if you have normal soil concentrations that

EDITH E. FORBES (585) 343-8612

1

Page 25

2 are not elevated and normal concentrations
3 in your food and typical water
4 concentrations, food dominates, but water is
5 also a fairly significant source of arsenic
6 exposure and for many communities in the
7 United States, the water actually is much
8 much greater and dominates because there are
9 a lot of communities that still have
10 elevated arsenic in their drinking water.

11 So this slide is an attempt to
12 show quantify how much those different
13 sources contribute to arsenic exposure
14 naturally. We are going to hear a talk
15 about background concentrations of arsenic
16 in soil, but when I use the word background,
17 I tend to want to look at all of these
18 sources and look at background from an
19 exposure perspective as opposed to just the

20 soil concentration perspective. I may get
21 you some confused about that, I apologize.

22 If you look a long the top line,
23 the estimates that I've put in there for a
24 range of average exposure or intake of
25 inorganic arsenic everyday from the diet for

EDITH E. FORBES (585) 343-8612

1

Page 26

2 a child ranges from 1.3 to 3.7 and for an
3 adult from 3.2 to 7.4. These are micrograms
4 per day.

5 Now, the higher numbers there are
6 from a National Academy of Science's report
7 and the lower numbers are from a study that
8 I directed and published at about the same
9 time that National Academy of Science's
10 report came out but not in time for them to
11 cite it.

12 The first water line represents
13 the intake of arsenic that you would get if
14 your arsenic in your drinking water was at
15 the national drinking water standard. This
16 is EPA's limit for drinking water. And that
17 would give you six micrograms a day for a
18 child, 14 for an average adult.

19 I think the arsenic in the
20 drinking water in Middleport is not elevated
21 so I don't remember what the exact number
22 is, but I've used one microgram per liter
23 here as an example of a lower water
24 contribution. And the bottom line you see
25 that air is a very small contributor to

EDITH E. FORBES (585) 343-8612

1

Page 27

2

exposure.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

So then in the middle I've tried
to show what the -- what the additional
amount of exposure that you might get from
arsenic in soil would be. And I've put it
in for a bunch of different soil
concentrations, 20 or 30 parts per million
or 40 or 50 parts per million. And I've
used some assumptions that are at the
bottom. I have assumed that you only absorb
about one-quarter of the arsenic relative to
how much you would absorb from drinking
water from soil. So I've accounted for
reduced bioavailability. And I've used what
EPA considers to be central tendency or
average intake of soil. When we do risk
assessment, typically the EPA default values

19 are a higher end exposure.
20 So I think from my perspective
21 these estimates of intake from soil are kind
22 of high, but some people at the --
23 scientists at some of the agencies might
24 say, well, they are kind of low. And that
25 would represent a difference of opinion

EDITH E. FORBES (585) 343-8612

1 Page 28

2 about some of the underlying science related
3 to soil ingestion.

4 Okay. Let's move on to the
5 bioavailability studies. We first started
6 looking at bioavailability of arsenic in
7 Middleport soil in 1995. And we did and I
8 was with the predecessor company of Exponent
9 at that time and we did some what we call
10 invetro studies so they are benchtop
11 studies. Some people call it a glass
12 stomach. It's a system that's intended to
13 mimic how food or soil might dissolve in
14 your stomach and measure the relative
15 bioavailability from that and that value we
16 came up with was 20 percent.

17 So the agencies weren't too

18 excited about that approach as being -- they
19 considered it more a preliminary sort of
20 approach and they preferred at that stage
21 for us to do animal studies. So FMC did
22 contribute to a research project that
23 Exponent had as part of a Department of
24 Defense grant to look at bioavailability of
25 chemicals in soil from a lot of different

EDITH E. FORBES (585) 343-8612

Page 29

1

2 sites.

2

3

And we also did studies with an
4 electron microscope that allowed us to
5 actually look at the particles to see where
6 and how the arsenic was present to help us
7 understand why the bioavailability might be
8 reduced.

8

9

There was a study done in monkeys.
10 That an oral bioavailability study
11 essentially produced very similar results to
12 the earlier 1995 invetro study and then a
13 study of dermal absorption and then I just
14 have a slide or two on each of those.

10

11

12

13

14

15

So this slide just shows a picture
16 of a soil particle with an iron arsenic
17 oxide in it and those were some of the kinds

16

17

18 of the forms in which the arsenic
19 predominates in Middleport soils.

20 And the monkey study that was
21 conducted by Dr. Steven Roberts at the
22 University of Florida actually tested 14
23 soil samples from 12 sites including three
24 samples from Middleport. And the results of
25 that study have just been published earlier

EDITH E. FORBES (585) 343-8612

1 Page 30

2 this year in the Journal of Toxicological
3 Sciences, which is the Journal of the
4 Society of Toxicology.

5 And these are the results. The
6 lines in blue are three Middleport soils and
7 the relative bioavailability was 19 percent.
8 It's shown as a fraction here, but it
9 translates to 19 percent, 28 percent and 20
10 percent, meaning that if you had the same
11 amount of arsenic in water and the same of
12 amount of arsenic in soil, you would get
13 only 20 percent as much absorbed into your
14 body from the soil as you would from
15 drinking the arsenic in the water.

16 And the top two lines just for

17 comparison are orchard soils. As many of
18 you know arsenical pesticides were used on
19 orchard land pervasively until the 1940's
20 and so there's a Washington orchard soil at
21 the top and a New York State orchard soil
22 just for comparison. They are fairly
23 similar. And the two lines on the bottom,
24 there's a very insoluble form of arsenic,
25 Arsenate Pyrite was virtually not absorbed

EDITH E. FORBES (585) 343-8612

1

Page 31

2 and the then the bottom is a soluble form
3 of arsenic, water soluble that was
4 completely absorbed.

5 In the dermal study conducted by
6 Dr. Ronald Wester, at the University of
7 California at San Francisco. He had a done
8 a study in 1993 for the California
9 Department of Toxic Substances that looked
10 into dermal exposure. They mixed a soluble
11 form of arsenic with soil and then put it on
12 the skin. So when we worked with Dr.
13 Wester, we redesigned the study so that
14 could be used instead of missing soluble
15 arsenic with the soil so that we could take
16 soil from the site that had been weathered

Page 31

17 and test it and the results of that paper
18 are actually now also impressed in
19 Toxicological Sciences.

20 In this study there were about
21 three monkeys used and each one received a
22 whole series of treatments. The soil from
23 Middleport, soil from a site in Colorado and
24 soluble arsenic. This just shows the
25 results for one of the monkeys. There was a

EDITH E. FORBES (585) 343-8612

1

Page 32

2 wash out period of several weeks between
3 each treatment. And the orange spike is the
4 soluble arsenic. And then as you can see
5 all the soil arsenic samples, there's
6 virtually no -- no absorption.

7 So EPA has a default assumption
8 based on that earlier study that three
9 percent of arsenic in soil might be absorbed
10 through the skin and this study shows it's
11 really negligible. Usually, even in EPA's
12 risk assessment models, the dermal
13 absorption is not that significant. This
14 shows it's really, really virtually not
15 measurable.

16 General conclusions and then some
17 more conclusions more specific to
18 Middleport. And then I'm just going to talk
19 a few slides about how this connects with --
20 or might connect with risk assessment. So
21 first of all, there is arsenic -- I haven't
22 actually talked about this earlier in this
23 talk, but arsenic is elevated above the
24 background before man's arrival widespread
25 across agricultural areas, former

EDITH E. FORBES (585) 343-8612

1

Page 33

2

agricultural land and other land in the
3 United states. And in most cases, there's
4 really very little absorbed from soil
5 compared to the amount from other natural
6 sources like diet and drinking water.

7

For Middleport, the biomonitoring
8 study showed that Middleport resident's
9 don't have elevated arsenic exposures. Now,
10 I'm sure as the evening goes on, we may get
11 into some more discussions about how
12 confident we are in that conclusion and how
13 we can extrapolate it from the time that
14 study was done to longer term exposures.

15

There also have been recent

16 scientific studies that have shown that
17 children ingest less soil than I think what
18 EPA typically assumes. The bioavailability
19 show that the oral absorption of arsenic
20 from soil is reduced and dermal absorption
21 is negligible. And I think that assessment
22 can and should incorporate these findings.

23 So this diagram is intended to
24 show the major steps in the risk assessment
25 and we call that first box problem

EDITH E. FORBES (585) 343-8612

1 Page 34

2 formulation or hazard assessment. We have
3 various names for it, but that is the point
4 where we figure out what the major chemicals
5 and exposure routes are that we are
6 concerned with at this site. In Middleport,
7 we are focused on the arsenic in the soil.

8 And then we get to assessing the
9 risks from that soil exposure by on one hand
10 looking at doing an exposure assessment of
11 this specific site and how might people come
12 in contact with the soil in estimating a
13 dose. And then we what do is we compare
14 that with doses that we have estimated the

15 toxicity -- assessed the toxicity of various
16 doses of arsenic by doing a dose response
17 assessment.

18 In the case of arsenic what we
19 know about arsenic carcinogenicity is based
20 on a very large -- study of very large
21 populations in Taiwan and other countries
22 where they have very high concentrations of
23 arsenic dissolved in their drinking water.

24 But those doses are far higher
25 than the doses that we see that we might be

EDITH E. FORBES (585) 343-8612

1

Page 35

2 exposed to from arsenic in soil in
3 Middleport. And so we have to extrapolate
4 backwards and try to understand what the
5 dose response purpose at much lower doses.
6 We can't see that low. And so this is a
7 critical area of scientific controversy that
8 many scientists think you should have a
9 straight line and assume that there's some
10 risk from arsenic exposure all the way down
11 to zero, until you get to zero which,
12 obviously, none of us will ever to because
13 we all have arsenic in our diet.

14

There are also studies that

Page 35

15 suggest that there's a threshold below which
16 they are not toxic effects, but we don't
17 exactly where that threshold is. So this is
18 an issue that is currently subject to a lot
19 of debate in the scientific literature. EPA
20 recently tried to do a dose response
21 reassessment for arsenic and the Science
22 Adversory Board to the EPA basically said go
23 back and do it again. Here are all these
24 issues that we'd like you to address
25 further. So it's not settled and so it's

EDITH E. FORBES (585) 343-8612

1

Page 36

2 very hard for any of us scientists to tell
3 you what is the risk from the doses that you
4 might get from Middleport soil. None of us
5 really know exactly. Some of us think it's
6 zero. Some of us think it's more and you
7 need to really question us to understand the
8 basis for the different opinions that we
9 have.

10 So almost done. I know it's warm
11 in here. So I think the risk estimates --
12 this is my opinion. This is going beyond
13 what the standard risk assessment approaches

14 are. I think that the risk assessment --
15 given this uncertainty about the exposure to
16 arsenic that you might get at these low
17 doses, I think it's easier to understand
18 them from a practical sense if you put them
19 into context with the doses that you get
20 naturally from all these other sources. And
21 so this talks a little bit about how we do
22 that.

23 When we do risk assessments, we
24 are not looking at your dose. We don't want
25 to know your dose on any given day. We want

EDITH E. FORBES (585) 343-8612

1 Page 37

2 to know an average dose you got over 30
3 years of exposure, however long you might
4 live in Middleport. So that's going to vary
5 from day to day. We want to estimate the
6 average. The other thing we want to do is
7 we are interested in understanding the dose
8 per unit of body weight. And I'll explain
9 that a little bit more in this slide, which
10 is my last slide.

11 If you look, you'll see the
12 children have a lower dose in terms of
13 micrograms per day than the adult. But in

14 fact, in the same kind of a dose might be
15 more toxic in children because they don't
16 weigh as much. When we actually do the risk
17 assessment, we calculate -- convert the dose
18 into micrograms per kilogram of body weight.

19 And in this case, what I've done
20 is I've assumed that the child was exposed
21 for six years and the adult was exposed for
22 24 years. And that the child weighs 15
23 kilograms the adult weighs 70 kilograms.
24 From that, I got to a lifetime average daily
25 dose. Okay. What I've done here, I've got

EDITH E. FORBES (585) 343-8612

1 Page 38

2 your background -- what I call your
3 background exposure from diet, water and
4 air. And then I've added 20 parts per
5 million of exposure to soil with 20 parts
6 per million or 30 or 40 or 50 to try to give
7 you an understanding of how those exposures
8 might change with typical risk assessment
9 assumptions.

10 So what you can see is it's a
11 pretty small increase. You know, I think
12 the increase I've shown here is actually a

13 little over estimated, but if we were doing
14 a risk assessment with default assumptions,
15 you would actually come out with a higher
16 increase from the soil if you didn't account
17 for the reduced bioavailability and if you
18 used a higher soil ingestion rate.

19 But you about used all those
20 default factors, you might find that you
21 were assuming almost a 50 percent increase
22 in exposure from the soil. Well, if we
23 really were going to get that much exposure
24 from arsenic in the soil, we would have been
25 able to detect it in the biomonitoring

EDITH E. FORBES (585) 343-8612

1 Page 39

2 study. So that for me the use of the
3 biomonitoring study is to me it puts bounds
4 on -- it gives us an ability to check and
5 see if our risk assessment estimates are in
6 the right ball park. And so that's how --
7 the way in which I think we can use the
8 results of the biomonitoring study.

9 I think that's all I have to say.
10 Thank you.

11 MS. HOWARD: Yes.

12 MR. ARNOLD: I have a couple of

13 things to add or to say. Could you go back
14 to your graph that showed the results of the
15 Middleport study?

16 MS. HOWARD: Do you want it
17 right now or could you want to wait until
18 Dr. Bowers gives her talk? Because then
19 we'll have a microphone to give to you.

20 MR. ARNOLD: Can everybody hear
21 me?

22 DR. SCHOOFF: Yeah.

23 MR. ARNOLD: What I wanted to
24 just make a note of is that in that graph
25 there was a line at the top that had the CDC

EDITH E. FORBES (585) 343-8612

1 Page 40

2 reference level of what is acceptable.

3 DR. SCHOOFF: Oh, I forgot to
4 explain that.

5 MR. ARNOLD: That's right. It
6 was twice as high. Better than twice as
7 high as the maximum number that was measured
8 from anybody in Middleport.

9 DR. SCHOOFF: There isn't
10 actually a set CDC reference level for
11 speciated arsenic because they have used

12 total arsenic more frequently historically
13 and I told you that's not really reliable
14 because of the seafood arsenic issue. So
15 the CDC level I think it's 50 micrograms per
16 liter. Mark, you can correct me if I'm
17 getting that wrong. There have been various
18 reference levels used by agencies related to
19 CDC for different studies for speciated
20 arsenic, but there isn't one set level. I
21 seen them use 20. I've seen them use 40.
22 I've seen them use 50 in various studies.

23 MR. ARNOLD: It's quite a bit
24 higher.

25 DR. SCHOOFF: Yeah, that's true.

EDITH E. FORBES (585) 343-8612

1 Page 41

2 MR. ARNOLD: The other thing I
3 wanted to mention was that you spoke about
4 we can't get rid of arsenic because it's in
5 our food, but it's also in our soil. Even
6 the soil that's brought in after remediation
7 will have arsenic in because it's a natural
8 occurring element. You can't get rid of it.

9 DR. SCHOOFF: That's a perfect
10 lead in to Dr. Bowers' talk. It is. That's
11 great.

Page 41

12 MR. ARNOLD: I'm Bill Arnold.
13 I'm a property owner here in Middleport.

14 DR. SCHOOFF: Thank you, Bill.

15 MR. WATTS: Our next speaker is
16 Dr. Teresa Bowers. She has also nearly 20
17 years experience in this area. In her case
18 it's exposure modeling and its application
19 to risk based environmental strategies and
20 site specific cleanup levels.

21 Her area of expertise includes
22 modeling of body arsenic levels. She
23 currently works with Gradient Corporation.
24 She will update us tonight on her work
25 related to background studies from

EDITH E. FORBES (585) 343-8612

1 Page 42

2 Middleport soils.

3 DR. BOWERS: Good evening,
4 everybody. Thanks for inviting me here to
5 speak tonight. My name is Terry Bowers and
6 I work for Gradient Corporation, which is an
7 environmental consulting firm. I've been
8 there since 1990. I've been working as a
9 consultant at FMC here in Middleport since
10 1993. So I've also been coming here for a

11 very long time.

12 I'm going to talk tonight, as my
13 two people who introduced me said, I'm going
14 to talk about background levels of arsenic
15 in soil. Most of you probably took high
16 school chemistry and maybe if you're lucky
17 and can remember, I can barely remember high
18 school chemistry, you learned about the
19 periodic table of the elements and arsenic
20 is, indeed, an element on the periodic
21 table. It occurs naturally. It's in
22 everything. It's in soil everywhere. It's
23 in air. It's in water, et cetera, and
24 that's why it's in our food because it's in
25 everything else. So we are exposed to it to

EDITH E. FORBES (585) 343-8612

1

Page 43

2 some level all the time. And the reason
3 that we gather at sites like this and in
4 rooms like this is to talk about how much
5 exposure is too much. But we just have to
6 start from a common understanding that
7 there's no such thing as zero exposure with
8 arsenic like Ros just said.

9 Okay. So my first slide here
10 talks about two different kinds of

11 background arsenic in soil: what we call
12 natural background and what we call
13 anthropogenic background. Natural
14 background is the stuff that was there
15 before mankind ever touched the Earth at
16 all. And the reason there's arsenic in soil
17 is because there's arsenic in rock. And so
18 geologically, as the rock weathered and
19 produced soil, you ended up with arsenic in
20 soil. And it ranges considerably.

21 For about the last 5,000 or so
22 plus years, mankind has been monkeying with
23 the environment, doing all sorts of things,
24 burning coal, making tools, making glass,
25 making pesticides. As a result, widespread

EDITH E. FORBES (585) 343-8612

1 Page 44
2 there are low levels of contamination if you
3 want to call it that. There are elevated
4 levels of background arsenic in the soil. I
5 think Ros had a slide up that saying that
6 broadly across the United States 50 parts
7 per million is not atypical definitely in
8 farmland and crops, fields where pesticides
9 in particular have been used.

10 I, in my line of work, work with
11 many many sites across the United States
12 where arsenic background levels in soil are
13 an issue and so I've become well-acquainted
14 with the levels of arsenic in soils across
15 the United States.

16 So we call this anthropogenic
17 background. It's higher levels than what
18 natural backgrounds levels are and to
19 further complicate things, because people
20 always say to me, what is the background
21 number. There is no one number. It ranges
22 tremendously, natural background ranges and
23 anthropogenic background ranges.

24 And it's important to us that we
25 figure out what background levels of arsenic

EDITH E. FORBES (585) 343-8612

1 Page 45

2 are in soil because what of our issues here
3 in Middleport is trying to distinguish
4 arsenic in soil that came from historic
5 operations of the FMC facility and the only
6 way we can figure that out is to figure out
7 what was there before FMC was there. We
8 have to figure out how much arsenic was in
9 the soil from both natural and non-FMC

10 anthropogenic background levels before FMC
11 came to be here.

12 Government agencies pretty much
13 agree -- you guys can stand up and say you
14 disagree, but they pretty much agree that it
15 doesn't make sense to cleanup soils to less
16 than background levels. I mean, obviously,
17 how are you going to do that. The only way
18 you can cleanup soil is to replace it with
19 other soil and if soil has arsenic in it,
20 then there's only so much you can do outside
21 of maybe importing sand from Florida which
22 has lower levels of background arsenic than
23 what New York does. You can't grow anything
24 in sand, so why would you want to do that.

25 So these are two reasons that we

EDITH E. FORBES (585) 343-8612

1 Page 46

2 really need to understand what background
3 levels are. Obviously, if we are going to
4 try and talk about cleanup the background,
5 we have to understand what background is.

6 So we are very interested in
7 learning the level of arsenic in soil and
8 I've got these listed here as two different

9 purposes. One reason we want to understand
10 background levels of arsenicals is to be
11 able to delineate what came from FMC, from
12 FMC's historic operations.

13 The other reason that we want to
14 understand the level of background levels of
15 arsenic soil is if the risk assessment,
16 which Ros is going to presumably eventually
17 get to do on this site, if the risk
18 assessment says the only acceptable level of
19 arsenic in soil from a human exposure
20 standpoint is background, then we have to
21 know what background is and then we can
22 cleanup to that. Now, notice I'm not saying
23 necessarily that we have to cleanup to
24 background. I'm just saying that if the
25 risk assessment drove you to cleanup the

EDITH E. FORBES (585) 343-8612

1

Page 47

2 background, then you would want to know what
3 it is.

4 Okay. I put this site location
5 map up. You guys all know way better than I
6 do where things are around here and how they
7 fit in next to each other. I put this up
8 for one reason and that is when we talk

Page 47

9 about local determinations of background, I
10 sometimes have questions about whether the
11 background samples were taken from locations
12 that were too close to FMC and thereby,
13 impacted.

14 Obviously, you can't really see
15 the plant site here. There's an area
16 immediately around it that is considered to
17 be the air deposition area and although,
18 there might be a little bit of debate
19 exactly how big that circle is that I can't
20 quite draw here is, it's certainly doesn't
21 go as far as Gasport where a lot of
22 background samples have been taken.

23 I'm going to show you tonight one
24 study from Lyndonville where there's some
25 background samples as well. So the purpose

EDITH E. FORBES (585) 343-8612

1 Page 48

2 of this map is just to show you that those
3 really are sufficiently far enough away that
4 they are not impacted by any arsenic that
5 might have come from FMC.

6 I have lot of information packed
7 on to this slide so I'm going to take a

8 couple minutes to explain it. This is a
9 summary of all of the studies that I know of
10 in New York State about background levels of
11 arsenic in soil. And so the studies are
12 summarized down the left here. And I have
13 another slide at the very end that has more
14 detail about any of these studies if anybody
15 is particularly interested in them. I
16 couldn't cram it onto one slide.

17 Across the bottom I have arsenic
18 concentration in soil. On this graph it's
19 ranging from zero up to about 120 parts per
20 million milligrams per kilogram. And then
21 for each one of studies, I have a bar. If
22 there's a dot in the middle, that is the
23 average arsenic background level from that
24 particular study. I don't have a dot in the
25 middle of all of them because some of them

EDITH E. FORBES (585) 343-8612

1 Page 49

2 didn't publish what averages are and I don't
3 actually know what the value is.

4 The bottom of the bar is the
5 lowest number found in a study and the top
6 of the bar is the highest number found in
7 that study. Now, way over here on the side,

Page 49

8 I have another graph. And this graph is the
9 number of samples in each of the studies.
10 And the one thing you'll notice -- oh, I
11 should say that these are by age date. Even
12 though I don't have the dates here, this
13 study I listed up here is from about 1980.
14 Then this goes down to a very recently
15 published study done by this state in the
16 2000's. So one thing you might notice is
17 that when we first started studying
18 background in New York State, we only took a
19 few samples. And as you go along here,
20 people got more interested and they took
21 more samples and more samples and this one
22 down here has a ton of samples in it.

23 One interesting thing about
24 looking at the range of background, the more
25 samples you take, the bigger the range is.

EDITH E. FORBES (585) 343-8612

1 Page 50

2 And just think about it, if you go out and
3 take five samples, maybe you get, you know,
4 10, 12, 15, 20, 25. If you go out and take
5 a hundred samples, you're almost bound to
6 find one that is lower than ten and one that

7 is higher than 25. The more samples you
8 take, the bigger the range always is.

9 So that's one thing that affects
10 how this slide looks. But when I looked at
11 this the other day and I never plotted it
12 quite this way before, the thing that struck
13 me on here, and I don't know if it will
14 strike you this way or not. The thing that
15 struck me is how really very similar these
16 are.

17 There's two categories of things
18 here. There's a bunch of bars like this
19 first one that is labeled -- the second one
20 that labeled Shacklette Boemgen and this one
21 Clark et al. Right down here below it.
22 There's one. There's one. Here's one.
23 Here's one. There's one. There's one.
24 This one has a real high sample out here,
25 but the average is so slow. This one is

EDITH E. FORBES (585) 343-8612

1 Page 51

2 sort of low right there. All of those
3 studies were looking at natural background.
4 Those studies and they very similar. They
5 all got very similar results. That's the
6 level of natural background arsenic in soil

7 in New York State if it's not touched by
8 mankind.

9 And then we have a bunch that look
10 like this. This study by Shacklette, I
11 think it was five samples in 1980, were all
12 taken in New York apple orchards if you
13 wanted to know 25 years ago how much arsenic
14 there was in New York apple orchards. This
15 study was in orchards. This study is
16 actually a collection of samples from other
17 studies and it includes samples from this
18 study. So the high end here is orchards.

19 This study was done by Dupont up
20 in Lyndonville. Although they did not say
21 anything about orchards, they said that they
22 took samples from a variety of different
23 types of property, residential, industrial,
24 railroad beds. Railroad beds always have
25 higher arsenic from pesticides used to kill

EDITH E. FORBES (585) 343-8612

1 Page 52
2 the weeds to keep the tracks clean so you
3 can drive on them.
4 So I don't know if there's orchard
5 in this one but this one is definitely high

6 because of mankind. Now, the Gasport site
7 which we will talk about more a minute -- so
8 this is the orchard subset here. You can
9 see it goes up pretty high.

10 These samples right here and I
11 added them in. This was a category of
12 wooded and cropland and the majority of the
13 samples were down here, and there were four
14 that were up here. And there were
15 identified as outliers in the data set and
16 they weren't included. I can tell you why
17 they are outliers because they were probably
18 next door to orchards instead. It's not
19 that there is anything wrong with them.
20 It's just they didn't represent wooded
21 cropland. Instead they looked more like the
22 orchard soils.

23 So I think we have two subsets of
24 data here. We have natural background down
25 low and then we have all these things that

EDITH E. FORBES (585) 343-8612

1 Page 53
2 come up higher here and almost all of them
3 we know that there's historic orchard lands
4 in the data sets.

5 Now, you probably heard some
Page 53

6 discussion of this new Part 375 Regulation
7 in the arsenic background determinations and
8 what went into that study. This is the
9 genesis of the 13 and the 16 milligram per
10 kilogram numbers that I think you discussed
11 to some extent. There is now the new
12 statewide arsenic background level in soil,
13 16 parts per million which is used for
14 residential cleanup objective. So these are
15 the studies that went into that. One, two,
16 three, those are clearly natural background.
17 This one, also, as I said a few minutes ago,
18 there are something like 265 samples in this
19 data set. The average is down here at 7.
20 The 95th percentile was at 13. The 98th
21 percentile it was at 16. I don't have the
22 whole data set. There must have been only
23 one number up here. 68 to make that bar go
24 out so long.

25 Okay. The stated purpose of this

EDITH E. FORBES (585) 343-8612

1 Page 54

2 study was to look at natural background
3 levels of arsenic in soil. And that's what
4 this study is. So that 13 and 16 parts per

5 million the number that you hear about are
6 consistent with natural background levels of
7 arsenic in soil in this state.

8 Now, you've also heard discussion
9 and I think I've come to talk before at some
10 of these meetings about the Gasport area
11 background study. This was a study that was
12 developed by FMC and the state working
13 together. It was conducted by FMC. Paid
14 for by FMC. I was involved in generating
15 the work plans and reviewing the data, et
16 cetera. Matt had a lot to do with it here.

17 And this study looked at four
18 different property types. Basically, in an
19 effort to get at this issue of natural
20 versus anthropogenic background. So the
21 residential samples looked like this. The
22 commercial samples went up a little bit
23 higher and that's because you've got some
24 various and odd activities going on in
25 commercial properties that sometimes results

EDITH E. FORBES (585) 343-8612

1 Page 55
2 in a bit arsenic.

3 The wooded crop samples were by
4 far the lowest with the exception of these

5 four outliers. And then we have the orchard
6 samples which went up really high here.

7 And the question is if you go back
8 to my beginning slide where I said we need a
9 back number to delineate FMC arsenic from
10 background arsenic and we need the -- that
11 risk assessment drove to us cleanup to
12 background, we need a number to cleanup to.
13 So the next question is how do you reduce
14 all of this information to a number that
15 you're going to use to delineate FMC's
16 arsenic and/or possibly cleanup to and it's
17 virtually impossible right because it's a
18 whole bunch of numbers.

19 So one reason either disagreement
20 about what the background number is or what
21 the delineation number is or what the
22 cleanup number is because I will submit to
23 you the only way you can get from this to
24 one number is by professional judgment. And
25 so reasonable scientists are going to

EDITH E. FORBES (585) 343-8612

1 Page 56
2 disagree about what the one number is. I'd
3 like to tell you that it's just not one

4 number. It's all of these numbers.

5 However, here's what we did to try
6 to get to one number. We collected these
7 samples from four different property types
8 in the state -- in the state, in the Gasport
9 area, in the Middleport area. And this
10 study was done in 2001-2002. It was
11 finalized and published in 2003. And at the
12 time that it was published in 2003, based on
13 aerial photographs going back into the
14 1930's, we did a survey of what percent of
15 the land was in each of these four
16 categories, what percent was residential,
17 what percent was wooded crops, what percent
18 was commercial, what percentage was orchard.

19 Obviously, the percentages changed
20 over time through the decades so there was a
21 very sort of complicated mathematical
22 weighting scheme. You know, if it was 50
23 percent orchards, then it's two percent
24 orchards now. We are going to, you know,
25 weight it and come up with these numbers. So

EDITH E. FORBES (585) 343-8612

1

Page 57

2

in 2003, this is the weighting scheme that

3

we came up with.

Page 57

4 Between 2003 and now -- what I
5 really could say is the old and new. This
6 is old. This is new. Within the last year
7 or two, we got a hold of a bunch of
8 additional aerial photographs. I think this
9 came from the state highway department or
10 something. A bunch more of aerial
11 photographs in the thirties, forties,
12 fifties, sixties and the seventies that
13 helped define even better how the properties
14 in this area were used through this time
15 historically and thereby, what we might
16 expect the kind of arsenic levels would be
17 on them because of their historical use. So
18 now we have a different mix. And you can
19 see that the main thing that has changed in
20 this mix is that the orchard property
21 percentage is much higher now than what it
22 was before. I think probably this wouldn't
23 come as a surprise to anybody because
24 everybody knows that a lot of property
25 around here was used historically as

EDITH E. FORBES (585) 343-8612

1
2

Page 58

orchards. We just have better aerial

3 topography confirmation of that now more
4 than what we used to have.

5 So what we did then and now is we
6 took these percentages of properties in each
7 of these four categories and used that as a
8 weight on those four sets of data that I
9 showed you earlier to come up with quote
10 unquote one number for arsenic background.

11 So this is the range of all four
12 property types combined. Minimum arsenic
13 number was down here is like two. The
14 maximum one was something like 122. I can't
15 remember exactly, 121 maybe. Obviously, an
16 orchard soil was up there.

17 Okay. By using these percentages
18 we were able to calculate a variety of what
19 we call summary statistics for the data set.
20 So the dark blue dot is the sample average.
21 It's a weighted average. The lighter blue
22 dot is something called an upper competence
23 limit on the average. We don't need to get
24 into that, but basically it's saying, you
25 know, the uncertainty that comes with any

EDITH E. FORBES (585) 343-8612

3 average be.

4 The green dot here is the 95th
5 percentile. So it's a weighted 95th
6 percentile. It says with this mix of
7 property types we would expect 95 percent of
8 the samples that we take to have arsenic
9 levels below this value. At the time that
10 we did this in 2003 we did not calculate a
11 percentile higher than the 95th.

12 Okay. So now, we have redone this
13 exercise with these new property weights and
14 that you can see how all the dots have
15 slipped to the right. So the average is a
16 little bit higher than it was. The upper
17 competence limit on the average is little
18 bit higher than it was.

19 The 95th percentile is 50 parts
20 per million and this is the 98th percentile,
21 this pink dot. The 98th percentile is 87
22 parts per million. The reason I got the
23 98th percentile on here is because the other
24 thing that changed between 2003 and now is
25 that new Part 375 Regulation came out and

EDITH E. FORBES (585) 343-8612

2 remember how I said it's professional
3 judgment what number you pick. So that
4 regulation picked the 98th percentile.
5 That's where the 16 parts per million comes
6 from that's for natural background levels of
7 arsenic in soil. And so we said, well, so
8 somebody made this professional judgment
9 decision for us. If you're going to the
10 98th percentile there, we'll calculate the
11 98th percentile here.

12 So basically, this value right
13 here, this 87 parts per million is the site
14 specific equivalent of the 16 parts per
15 million in the Part 375 Regulation. And
16 this green dot, the 50 parts per million is
17 the site specific equivalent of the 13 parts
18 per million in the Part 375 Regulation. And
19 the difference is natural background.
20 Remember, the studies that New York State
21 did were really aimed at what are the
22 natural levels of background in soil versus
23 here, we're talking about a major
24 anthropogenic influence over time and that
25 influence is largely the historic orchard

EDITH E. FORBES (585) 343-8612

2 land use.

3 So I'm not quite certain how to
4 answer the question about what the one
5 number might be, but these are some ways of
6 getting to one number. And I think we are
7 going to have some discussion down here in
8 this range about which of these values to
9 use for delineation purposes to try and
10 separate FMC arsenic from arsenic that was
11 here from either natural or anthropogenic
12 causes before FMC showed up. And that is
13 all I've got.

14 MS. HOWARD: We are doing some
15 questions and answers, but I remind you we
16 have a notetaker so it's important that you
17 give us your name. Speaking slowly so we
18 can get all of the commentary onto the tape.
19 Any questions. Yes, sir.

20 MR. COLLEY: Nelson Colley,
21 C-O-L-L-E-Y. My question is what part of
22 the study on the water was done on wells and
23 regular processed water through the
24 treatment plants and were they deep wells or
25 were they shallow wells?

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. SCH00F: Were you asking about Middleport. Well, Wai, I think that's for you.

MS. LACHELL: Waichin Lachell, first name is W-A-I-C-H-I-N. Last name is spelled L-A-C-H-E-L-L. The studies that Ros and both Terry were talking about were not done on water from the facility, neither ground water but we have done and we continue to do extensive groundwater studies where we monitor groundwater and we've also sampled and identified private wells around the FMC facilities. So there's been numerous studies on that. We have not found that any of the private wells have been impacted from any FMC contamination at the facility. So I don't know if that answers your question?

MR. COLLEY: Yes.

MS. HOWARD: Other questions?

MR. ARNOLD: Bill Arnold again. I would like to know before the night is over the agencies' position on using the 2007 data versus the 2003 data to determine

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

what should be the background level of
Middleport?

MS. HOWARD: I think we've got
a response to the last question and if you
give your name and spelling, please?

MR. MORTEFOLIO: My name is
Matt Mortefolio with the DEC. I was
involved with the first study quite a bit as
Terry mentioned. The first study that we
put together was put together sort of
jointly between us and FMC and was also peer
reviewed by the University of Buffalo, a
peer review group and kind of blessed it
before we started out.

The second one that she's shown
here tonight is kind of new to us. We
probably got it a few weeks back. And I
didn't have a chance to look at it. A
couple things with it though that I had to
look at new aerial photos. We'd have to
take a look as to how they were weighted
over time and see that figures into the mix.

The other thing I think there were
some additional orchard samples used that we

EDITH E. FORBES (585) 343-8612

1
2 previously didn't use in the original study
3 we negated it because in the original study
4 the concept was to do a blind study, to
5 sample where neither us or FMC knew what the
6 outcome would be and not used existing data
7 where we kind of know what the cards said.
8 So we also have to look at the inclusion of
9 that and maybe question that. So in a
10 nutshell we really haven't reviewed the
11 second one, but the first one was, you know,
12 reviewed extensively by us and University of
13 Buffalo.

14 MR. ARNOLD: Matt, I'm not
15 going to let you get that way that. That
16 letter was sent to you by Brian McGinnis in
17 June. You had plenty of time to look at it.
18 Not a couple of weeks ago.

19 MR. MORTEFOLIO: He's correct
20 about that. The agency made a decision to
21 keep the process going, basically, have it
22 become a part of the process, which is the
23 RFI CMS process that Dan Watts talked about.
24 FMC submitted that basically outside that
25 process. We've recently sent them a letter

EDITH E. FORBES (585) 343-8612

1
2 few days back saying, okay, you have your
3 impressions. This is the way we want to go
4 forward to get the schedule moving and in
5 the process of that, we will take a look at
6 this and we will meet with FMC on it, but
7 that hasn't occurred yet. So it's a little
8 difficult for us at this stage to evaluate
9 it.

10 MS. HOWARD: Other questions?

11 MS. RIZZO: My name is Julie
12 Rizzo, R-I-Z-Z-0, from Middleport. I'd just
13 like clarification on the second graph here.
14 What you are saying to me is you're 95
15 percentile is 50 parts per million, which
16 would indicate that you think that you
17 should go out and sample all around and 95
18 percent of the population would fall into
19 that 50 parts per million under it, is that
20 correct?

21 DR. BOWERS: At or below.

22 MS. RIZZO: At or below. Okay,
23 great. Woodland -- wooded area, wooded crop
24 area from what I remember from one of your
25 previous slides was a very low average.

EDITH E. FORBES (585) 343-8612

1
2 Orchards were the highest average and they
3 are only 19 percent. To me, it doesn't seem
4 possible that if you're -- the orchards, it
5 doesn't seem possible that your graph is
6 that high up when you have 44 percent wooded
7 area. That's very low and only 19 percent
8 very high and residential being in between.
9 Would you comment on that?

10 DR. BOWERS: That's a good
11 question. And it is really very complex.
12 And I don't have enough figures to show you
13 all of this. As I'm sure you're all aware,
14 the historic use of properties in this area
15 has changed through time. And so the way
16 these percentages were developed was by
17 looking at aerial photos over certain time
18 periods and if you look at the time period
19 and I forget the exact breakdown. So if you
20 look at the exact period of the thirties
21 through the fifties, the percentage of
22 orchard lands were very high like 50
23 percent.

24 Then if you look at the time
25 period between the fifties up to the

EDITH E. FORBES (585) 343-8612

1
2 seventies or the eighties, it drops down to
3 a much lower percentage because a lot of the
4 orchard lands went away and other uses came
5 to those lands.

6 The problem, of course, is the
7 arsenic may still be there from the earlier
8 time. Then these final percentages here,
9 the 19 percent, et cetera, that was a
10 weighting of the old and the new. So if you
11 had 50 percent before and you have 10
12 percent now, the average is 25 percent.
13 It's a very complex mathematical thing.

14 And we are kind of back into the
15 realm of professional judgment, again, here
16 on whether this kind of weighting scheme is
17 the correct way to go about doing it and
18 producing one number. I mean there's a part
19 of me that would just love to go to any
20 particular property and say how was this
21 property been used since 1900 and then I
22 will tell you what the number is. But
23 obviously, it's not realistic for us to try
24 and figure out the historic use of every
25 single piece of property in order to do

EDITH E. FORBES (585) 343-8612

1
2 that. So it's just kind of the best
3 approach we can take.

4 MS. HOWARD: Other questions?

5 MS. TOWNSEND: My name is
6 Bettina Townsend, B-E-T-T-I-N-A
7 T-O-W-N-S-E-N-D. My question is why, you
8 know, I've worked with statistics my whole
9 career and why has so much time been spent
10 on determining the background arsenic level
11 when we should be looking at the bottom
12 line, what's, you know, what's actually a
13 hazardous level. Who cares what the
14 background level is. The background level
15 in other parts of the United States is sky
16 high and yet it's safe. So why we talking
17 about background arsenic level when we
18 should be looking at other factors entirely.

19 DR. SCHOOFF: I think the
20 agencies will get to that perhaps.

21 MS. HOWARD: Any other comments
22 or questions?

23 UNIDENTIFIED SPEAKER: Can we
24 have an answer?

25 MR. OWENS: This is just real

EDITH E. FORBES (585) 343-8612

1
2 quick. The 2003 study was mentioned that it
3 was peer reviewed by the University of
4 Buffalo. Has the 2007 been peer reviewed by
5 anybody?

6 DR. BOWERS: The correct answer
7 is, no, the 2007 has not been peer reviewed
8 by anybody. But I would like to comment
9 that it's really the same study. It's the
10 same samples. It's the same protocol. The
11 only thing that has changed is additional
12 aerial photos have given us different
13 percentages for property uses over time. So
14 it's not that the study has changed. It's
15 just that one factor has changed and I agree
16 that the agency needs to review the aerial
17 photos and look at it. I would just hate to
18 have it called two different studies.

19 DR. SCHOOFF: Yeah, I think
20 between us we can answer the other question.
21 Well, you know, I think part of the answer
22 is that in the course of investigating a
23 study, you do need to establish background
24 in order to understand your area of impact.
25 Just as you should also do a risk assessment

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

to look at the health affects. It would be a more robust decision making process if you had those two tasks completed in a similar time frame, my opinion.

UNIDENTIFIED SPEAKER: Excuse me, could we have -- could you follow-up on that?

DR. BOWERS: I'll just add one more answer to that, from the slide that I put up where we said we want to understand background for two reasons. One is to be delineate FMC's arsenic. And that doesn't have anything to with risk. And the second reason was if the risk assessment said you needed to cleanup to background -- this gets to your question, is what is the hazardous level, what level should we cleanup to. That's really what Ros is working on, the purpose of risk assessment but there may be -- backing away from that for a moment, there may still be some value in just delineating this arsenic came from FMC and this arsenic did not.

MR. LITWIN: My name is Gary

EDITH E. FORBES (585) 343-8612

1

2

Litwin. I'm from the New York State

3

Department of Health. Just to follow-up

4

what you said on background. We agree with

5

you that there's an awful lot of ways to

6

look at background and a lot of it depends

7

on your perspective. Our perspective is to

8

be protective of public health. So in

9

looking at this, even I think if you look at

10

the data itself, and you look at the studies

11

that you said for natural background, it's

12

pretty clear that it's single digits parts

13

per million. One can make that argument.

14

UNIDENTIFIED SPEAKER: 13 to

15

16.

16

MR. LITWIN: Personally, I

17

would say maybe 8 or 10. But you're going

18

to have those disagreements straight

19

through. But beyond that, you can say,

20

okay, that is natural background which we

21

are discussing and then there's, okay, what

22

is the added value or concentration of

23

arsenic from other sources. I think the way

24

this is going is, well, how much can we

25

prove was contributed by FMC, which is not

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the question for us.

There's two ways to look at all these things and again, it goes back to perspective. If from let's use just 10 for natural to 20 as a problem of 40 or 50, it doesn't matter. If that added increase is from commercial or orchards or whatever and FMC, the question some folks I guess are asking is, well, can you tell me that that arsenic came from FMC? Certainly, FMC is asking us that question. Can you say this is our arsenic?

The question that we have to ask is, can we say it's not come from FMC. There's different ways that you have to look at these things and as we go through these discussions, I think we need to keep that in mind. I think they both alluded to that fact in their presentations, but a lot of this is the difference in how we look at things.

Our job, the Federal legislation, the State legislation is made to be protective, to be protective of public health and the environment. In order for us

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page 73

to be protective, that's the way we look at it. So please try to keep that in mind as we go through these conversations.

MS. HOWARD: Any other questions? We're going to take a short break just to give you our stenographer a break. Oh, I'm sorry. We are not taking a break.

MR. MAZIARZ: I wanted to wait until everyone else had their chance to speak and first, I want to acknowledge and thank Mayor Maedl for setting up this meeting. Mayor.

About a month ago, the mayor and I submitted several detailed questions to the three agencies: the DEC, the DOH and to the EPA. And requested answers which some of the questions were answered, which the mayor has copies of today and we'd be happy to distribute.

I think that the message that I want to send to the agencies more than anything is that Middleport, this beautiful small community, you know, has been going

1
2 through this issue for over two decades now.
3 And it really is time to take some action.
4 There was a 2003 study. There was the 2007
5 study. You know, I think -- I wonder if we
6 are not going to be here four years from now
7 talking about the 2011 study, until, you
8 know, some decisive action is done in this
9 community. When I say decisive action, I'm
10 not talking about destroying a street like
11 Vernon Street, which is what happened to
12 this community.

13 When the Commissioner of the
14 Department of Health, Dr. David Dane, was
15 before the Senate for confirmation, I told
16 him and he's a new Commissioner of Health,
17 who was appointed in January by Governor
18 Spitzer, I told him about this issue here in
19 Middleport and how this beautiful little
20 community and how one particular street in
21 this beautiful community was destroyed by I
22 think several governmental agencies on all
23 levels.

24 You know, I think the message that
25 I'm hearing here today, is that if people

1
2 want their property remediated, let's
3 remediate. You know, if they don't, I mean
4 if they feel safe there, because I don't
5 think any study you take is ever going to
6 say, I think these two scientists pointed
7 out very well, there's really no level I
8 think that we are going to be able to come
9 at that says, you know, it's safe at this
10 level and not safe at this level. If people
11 do not want their property remediated, let's
12 not punish them for not wanting it
13 remediated. Let's not put a scarlet letter
14 if you will so that their property will
15 never increase in value.

16 But I think that more than
17 anything, we are -- I've been in the Senate
18 now for going into my 14th year. In some
19 people's mind that is too long, like my
20 wife, for instance. But you know, we keep
21 having meetings like this, either here or at
22 the Masonic Hall or at the high school. And
23 every time we have a meeting like this, we
24 are not having a meeting with a business
25 owner, who wants to create jobs here in

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page 76

Niagara County, here in eastern Niagara County, in Middleport. We are not having a meeting to talk about how we can use the canal to increase tourism here in this beautiful little community along with other communities along the Erie Canal. You know, I think people would be scared to buy a home here in some instances or to locate a business here while all this is going on.

So the message I want to send to the three agencies is, look, we appreciate your help. We appreciate your professionalism. We appreciate you being here over and over and over again. But we really, really, really have to call a halt, make a decision, do the remediation where it's needed and move on with our lives. Thank you.

MS. HOWARD: Okay. Now, we can take a break and we will be on break for about ten minutes.

(Break.)

MS. HOWARD: At the last community input group meeting we were

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

advised that there were a number of residents who wished to make statements this evening. So now, we're at that point in the agenda.

If you are making a statement, please give your name so our notetaker can get it accurately. If you have a written copy of the statement, that would help her a great deal as well. So we can get started. Yes.

MS. TOWNSEND: I apologize to those of you who have heard this before. My name is Bettina Townsend. My husband, Homer, and I live at 34 State Street and we hereby add our names to the list of Middleport residents who are refusing remediation in the FMC arsenic program. We encourage all of our friends and neighbors to do the same.

Our decision is based upon our own extensive scientific research regarding arsenic contamination, including the fact that the EPA's own threshold for arsenic remediation, as listed on their web site, is

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

95 parts per million. This is almost five times the artificially low standard being forced on FMC and foisted on the people of Middleport.

After much consideration we are fully satisfied that our three year old grandson is safer playing in our yard than he would be eating a McDonald's hamburger.

We're lifelong environmentalists and both retired from California State Parks, where Homer was a Chief Ranger and I was an environmental planner. In my experience when you have environmentalists at odds with an environmental agency, there is sometimes a problem within the agency.

As an environmental planner, I was intimately involved with the development and review of environmental documents and responsible for ensuring compliance with environmental laws. I can't help but notice that in the case of this project, there is a decided absence of compliance with environmental law as I understand it. Not only does there not seem to be a complete

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

project description, which is the basis for all environmental review, the so-called project seems to be growing and expanding by the minute.

It appears that someone somewhere has declared that this project is exempt from the National Environmental Policy Act, NEPA. Even if there were a complete project description, there is no way that anyone could declare a project of this magnitude exempt from Federal legal requirements. It certainly is not categorically exempt, and emergency action cannot be justified when conditions have persisted for a hundred years. And there is no demonstrable adverse impact from these conditions.

If ever there was a project that qualified for a full Environmental Impact Statement, an EIS, this is it. Instead of taking the time to develop a thoughtful and complete EIS, the project's directors seem to be haphazardly plowing ahead with an extremely ill-planned project.

1

Page 80

2

apparently secret, there have also been written and verbal threats to Middleport residents who refused to comply with the proposed unreasonable slash and burn remediation tactics.

3

4

5

6

7

NEPA issues that should be addressed before the project proceeds include but are not limited to the following:

8

9

10

11

Number one, a complete project description including unassailable proof that the project is even needed, the addresses of properties proposed to be impacted, and a complete and accurate description of remediation plans and recommendations. It is illegal to split a project into parts, as seems to be the case here, for the purpose of avoiding the preparation of an EIS and legally mandated public review. There is also a question about the legality of forcing a project on private property owners who do not want it.

12

13

14

15

16

17

18

19

20

21

22

23

24

Number two, a discussion of the

25 proposed actions and alternatives.

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Page 81

Number three, impacts to historic, aesthetic and natural resources and air quality.

And number four, cumulative impacts, including damages to quality of life and increased utility bills and discomfort of residents who no longer have the benefits of trees shading their homes.

Our home was one of the very first built in the Middleport area and we have a certificate dating from 1976 issued by the Village of Middleport certifying it as a Middleport Century Home. In fact, it was actually built in 1850, and there are at least six trees on our property that are over a hundred years old. These trees anchor the historic landscape of our street and add immeasurably to not only our own emotional health but the health and well-being of our neighbors. The loss of this invaluable cultural and natural resource would be unforgivable, and we will

24

never permit it to occur.

25

In the past, those in charge of

EDITH E. FORBES (585) 343-8612

1

Page 82

2

this project have demonstrated little regard

3

for the value of anecdotal evidence

4

particularly, when it flies in the face of

5

their own judgment. Their judgment tells

6

them there is poison in the soil and their

7

knee jerk reaction is to get rid it,

8

regardless if there is any evidence to

9

indicate any unhealth affects or harmful

10

impacts.

11

In fact, the much sneered-at

12

anecdotal evidence indicates that the

13

conditions existing in Middleport may

14

contribute to a more healthful lifestyle and

15

a life expectancy greater than that of the

16

general populous.

17

The goals of this project will

18

without doubt damage these special

19

conditions beyond repair. My grandparents

20

lived nearly their entire adult lives in a

21

house on Freeman Avenue and both lived into

22

their nineties. My aunt lived for over 80

23

years in Middleport and passed away just

24 last year at the age of 91. My uncle, who
25 actually worked for Niagara Chemical, lived

EDITH E. FORBES (585) 343-8612

1 Page 83

2 into his eighties. My mother and another
3 aunt, who grow up here when the sprayer was
4 at its most lethal, are now 89 and 91. And
5 finally, in August of this year, there was a
6 notice in the paper about a good friend of
7 my grandparents who had passed away recently
8 at the good old age of 103. Fern White was
9 born in Middleport and lived here for her
10 entire life.

11 Having worked my entire career for
12 an agency that prides itself on doing what
13 is best for people and the environment, I
14 understand how sometimes you can come to
15 think that you know better than anyone else
16 what is best for the people you are serving.
17 However, I observed that in some cases, in
18 spite of our best intentions, California
19 State Parks really didn't know what was best
20 for our customers. On those occasions, in
21 spite of what we thought we already knew, we
22 benefitted from the sitting down and

23 listening to their valid concerns and
24 sometimes changing our plans. It's never
25 too late to do that. In fact, I should be

EDITH E. FORBES (585) 343-8612

Page 84

1
2 facing this way. Your customers, the people
3 of Middleport have every right to expect
4 that you will listen to us, react with
5 thoughtfulness and act within the legal
6 requirements of the law, not above it.
7 Thank you.

8 MS. HOWARD: Others who wish to
9 provide statements?

10 MS. STORCH: My name is
11 Elizabeth Storch. I have a prepared
12 statement. One of the things that is in the
13 handout sheet over there is before you cut
14 that tree, I wrote it up as a one page
15 document. A lot of trees are being taken
16 down in Middleport and when I went on the
17 internet and everything that I do, because
18 I'm a retired librarian, has internet
19 citations so that people can go to the
20 internet and read these documents for
21 themselves and judge if they agree with me
22 or disagree. They can read it.

Page 85

22 it's way down there, why do we have to dig
23 it up and disturb it.

24 I would like to say, also, that
25 later on in this meeting the agencies have a

EDITH E. FORBES (585) 343-8612

1

Page 86

2 document that they are going to defend.
3 It's the same old stuff. I got responses
4 and it's back there at the back table. A
5 rebuttal as best I can do. I would say to
6 you, village people, take one home. One of
7 the things that I have done is try to put it
8 in language that you can understand. The
9 agency has tried to confuse. There are no
10 citations. You can't find things on the
11 internet. You have to go rummaging around
12 yourself. I found information on the
13 internet that is more up to date. They are
14 citing information in their factual thing
15 they are handing out tonight that the study
16 dates 2003 going back to 1998, nine years
17 old. I have information from January, 2006,
18 and also, March of 2007.

19 And I would also say and I'm
20 looking right at you people. This is a
21 rough thing to say. Normally, I wouldn't be

Page 87

22 so impolite especially in public, but I'm
23 truly angry. I'm angry, very angry.

24 Your salaries are being paid by
25 the FMC I understand tonight. You have an

EDITH E. FORBES (585) 343-8612

1

Page 87

2 easy job here. You don't have residents
3 that speak up. You know, is it really a
4 risk or are you trying to preserve your
5 jobs? That's a very rough thing to say, but
6 I'm asking it.

7 Now, I'll read my prepared
8 statement. I am Elizabeth Storch. I first
9 moved to Middleport in the fall of 1972 and
10 rented for the first seven years.

11 In 1979, I moved into my home at
12 59 State Street. Since that time, I have
13 been an excellent steward of the property
14 making needed repairs and improvements to
15 the home. During those 35 years, my
16 extended family has become the community of
17 Middleport. It is difficult for me to stand
18 up here and speak. I am a law abiding
19 citizen and I'm looking over there at John
20 Swicke, our Chief of Police. He knows. I

21 have never even had a traffic ticket, a
22 bounced check and Margaret Droman is in
23 here. I haven't had a late tax payment. I
24 am conservative and just do my everyday
25 things without notice. However, I may be

EDITH E. FORBES (585) 343-8612

1

Page 88

2

one of the next recipients of one of those
3 demeaning and condemning letters from the
4 authorities behind this remediation. I saw
5 the letter that you sent to the lady over on
6 Park Avenue, who refused remediation.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

For the first time in 59 years, I
may become a social criminal if the DOH, the
DEC and the EPA in Middleport do not realign
their plans. It was just this last July
that I discovered by accident that my
property at 59 State is ultimately due for
remediation. I found out from a friend who
happens to be sitting right back there. We
went out to lunch and she said did you get a
letter. I said what letter. Well, is your
property all clear. And I didn't have a
clue, but I found out.

Remediation is a nasty term that
means cut every living green thing in your

21 yard to ground level and then bulldoze
22 everything. I heard nothing since a letter
23 of July, 2005, stating that my soil testing
24 was slightly elevated. Upon investigative
25 research on the web sites for the Centers

EDITH E. FORBES (585) 343-8612

1 Page 89

2 for Disease Control and the Agency for Toxic
3 Substances and Disease Registry, both
4 Federal agencies to which the New York State
5 Department of Health, the EPA and the DEC
6 should pay attention, I found that 20 parts
7 per million of arsenic in the soil as a
8 trigger point not a cleanup point but as a
9 trigger point for remediation is artificially
10 low.

11 My soil has an average of 27.2
12 parts per million, which happens to be a
13 number lower than the 30 at the school yard.
14 The research I found indicated that any
15 property below 70 parts per million of
16 arsenic in the soil is safe. There's
17 written information back there with the
18 internet sites and each one of you can go on
19 the internet and read it and you can

20 interpret it as you wish but that is the way
21 I interpreted it. There is no health risk.
22 After an unbelievable number of
23 hours of heart wrenching investigation,
24 talking to people at FMC, the CIG and
25 searching for a new home in surrounding

EDITH E. FORBES (585) 343-8612

1 Page 90

2 areas of Lockport, Albion, et cetera, I have
3 reached the conclusion that I along with
4 many of my fellow Middleportians are being
5 subjected to an unnecessary and unwarranted
6 scientific halocaust of the green space this
7 year. I will not permit my property to be
8 denuded of its trees and gardens because the
9 scientific research I found indicates it is
10 not a health risk.

11 You people sitting at that table
12 have caused me grief. And I want you to
13 know it. My emotions are one of disbelief
14 and anger at the callusness and unscientific
15 way in which arrogant -- arrogant outsiders
16 with inflated salaries and fancy titles are
17 coming into our community and destroying it
18 rather than helping it.

19 In closing I think you are

20 irresponsible for the desecration and
21 emotional suffering you are imposing on this
22 community. Since you have characterized
23 yourselves repeatedly as not listening to
24 the public, I am appealing to the elected
25 government officials responsible for this

EDITH E. FORBES (585) 343-8612

1

Page 91

2 area to intercede and use all of their
3 authority to bring quote unquote good sense
4 to this whole issue of arsenic in this area.

5 And I want to thank Senator
6 Maziarz. You certainly have might vote as
7 long as you're running for elected office.

8 MR. MAZIARZ: Thanks.

9 MS. STORCH: Back off on the
10 air deposition areas of the community where
11 rampant remediation is not warranted. You
12 can change. As Bettina says, you can
13 change. As a number of people, you can
14 reassess your objectives here. Back off on
15 the air deposition area and concentrate only
16 on those areas of the tributaries and
17 culverts where the arsenic levels are much
18 higher. Thank you.

19 MS. HOWARD: Others who wish to
20 make a comment?

21 MS. REED: My name is Ann Marie
22 Reed. I'm not from Middleport. I am from
23 the Town of Pendleton. I'm here tonight
24 because I'm concerned about the levels of
25 arsenic. I do not know a lot about what is

EDITH E. FORBES (585) 343-8612

1 Page 92

2 going on here, but I am concerned as to any
3 levels that are changed by the State or
4 Federal government and how it will affect
5 other people in New York State. I believe
6 there should be public meetings held in the
7 future if you are going to change those
8 levels. I don't believe a corporation
9 should have the full say here. And I don't
10 believe that the town residents of
11 Middleport should have the only say as well.

12 There was different things that
13 were brought up tonight, but I did not hear
14 anything from the two women that are up in
15 front here, you brought up the fact that you
16 took toe nail samples and you took urine,
17 but you did not mention hair samples. Was
18 there a reason you did not use hair to check

19 for arsenic especially in children?

20 Also, I'll let you answer in a
21 minute. You also stated that you had the
22 people not eat any seafood. Did you also
23 not have them eat chicken? And I'm concernd
24 with such as Perdue chicken which has, I
25 believe, higher levels of arsenic. So I'd

EDITH E. FORBES (585) 343-8612

1

Page 93

2 be interested to know if you did not have
3 them eat chicken. I know what you're saying
4 it's not relevant, but it is if they were
5 told not to eat seafood or if they did not
6 eat fish. So I would like to know that.

7 I think everyone knows the
8 government works very slow. I've had a lot
9 of issues through the EPA and the DEC. They
10 don't like to listen. And when they do
11 finally listen, they are slower than a
12 snail. But I'm not going to totally put you
13 down a hundred percent because you are there
14 for the public. And maybe you're not
15 working as fast as we want you to, but I do
16 expect that you will look out for us because
17 corporations are not there to look out for

18 us. They are looking out for the money they
19 are making. So I do appreciate when you
20 actually do your job.

21 There's been a lot of things
22 mentioned here tonight about sampling and so
23 forth. And I was wondering is if homeowners
24 with the arsenic levels whether they are a
25 little bit detectable or not for your

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17

Page 94

property, if homeowners are allowed not to
remediate their soil, and they decide to
sell their home, who will be responsible to
make sure that you're within the State
guidelines? Will the new homeowner have to
pay for that remediation if they don't feel
it's acceptable or will FMC pay for that or
will the State pay for that or the Federal
government? Because I think it's more than
just what people feel for their property
because at the same time then are you going
to keep the property forever? Because
someone might buy that house at a later date
maybe when you pass away that have children
and they might not feel that's acceptable.
And arsenic has been shown to cause -- I

18 know that everyone has different
19 professional opinion, has been shown to
20 cause problems with IQ scores with their
21 children. I would really love to see the IQ
22 scores of the children in the districts
23 surrounding the contamination or within the
24 contamination as far as how these kids --
25 could they be scoring higher. Could they be

EDITH E. FORBES (585) 343-8612

1 Page 95

2 more productive when they do graduate than
3 if they didn't have the arsenic.

4 So I think there's still a lot of
5 questions to be asked and yet, I think 15
6 years or 20 years is way too long. I think
7 things should have been done a lot sooner
8 and, you know, I just hope when these things
9 are all decided, that you don't forget the
10 rest of the state because we do have a say.
11 It's not just Middleport. It's not just FMC.
12 It's just not the State and Federal
13 government. If it's going to be a state
14 level for the entire State of New York, then
15 I want to have a say in it. Thank you.

16 MS. HOWARD: Real quick.

17 DR. SCHOFF: Okay. Hair and
18 chicken. Number one, hair is subject to
19 external contamination by arsenic just as
20 are toe nails. It is true that if you had a
21 reliable sample from hair, if you could
22 strip off all the external contamination,
23 you could see a longer period of exposure
24 than you can from the urine. But at this
25 point, urine is by far the best measure we

EDITH E. FORBES (585) 343-8612

1 Page 96

2 have of arsenic exposure. One way we deal
3 with the short term of exposure that the
4 studies look at, is by testing lots of
5 people so we get a cross section of a lot of
6 different behaviors.

7 Chicken does not have elevated
8 arsenic in it. There was one publication
9 that came out by a professor from Johns
10 Hopkins that had a three order magnitude
11 error in the units that she had. It was
12 egregious that it got published. We tested
13 inorganic arsenic in chicken in the dietary
14 the study that I published on which my data
15 was based and there is no evidence of
16 increased inorganic arsenic that's

Page 97

17 substantially elevated in chicken in the
18 United States. It's higher in rice.

19 MS. HOWARD: Other statements?

20 MS. RIZZO: Again, my name is
21 Julie Rizzo and my concern is the affects on
22 humans being, specifically children. If
23 higher arsenic levels are left in place,
24 there's no guarantee that future generations
25 soil will not be -- the soils will be left

EDITH E. FORBES (585) 343-8612

1

Page 97

2 alone, but they wouldn't be tampered with.
3 Actually, right in the immediate future, on
4 November 15th, we as a district will go to
5 vote on a capital improvement project at our
6 school, which includes building a building
7 at the Middleport Middle School. I'm sorry
8 that the aesthetic value of your properties
9 will be ruined. I, myself, believe it or
10 not, I'm a tree hugger. I plant trees as
11 much as I can. I have a lot of property to
12 plant on.

13 I see studies of documented
14 illness as the cause -- being caused by
15 arsenic. I have heard many Middleport

16 friends stress over family and friend
17 illnesses, not sure where they are coming
18 from, what happened. Perhaps even the low
19 scores at Roy-Hart District received on
20 National testing is not due to the school
21 and the teaching at the school. Perhaps it
22 is a result of the arsenic. I thank the
23 agencies for holding Middleport to a
24 standard that is trying to keep the general
25 public as safe as reasonably possible.

EDITH E. FORBES (585) 343-8612

1

Page 98

2

MS. HOWARD: Any other

3

statements? Okay.

4

Next on our agenda, there had been

5

several references and Senator Maziarz

6

referenced himself. He submitted a series

7

of questions and concerns on behalf of the

8

community. There is a -- Matt had mentioned

9

earlier that there is a formal response to

10

generally those questions. Would you like

11

to just briefly summarize your responses?

12

How would you like to go forward?

13

MR. MORTEFOLIO: Couple things.

14

I will basically read what we came up with

15

about what we call six frequently asked

16 questions that were more than just what we
17 heard from Senator Maziarz, what we've heard
18 from many people through the community
19 meetings and said group meetings and try to
20 best as we can address them.

21 One thing I'd like to say is a lot
22 of tonight's focus is on arsenic risk and
23 different opinions on it. But what I've
24 heard in the past from communities concern
25 for trees and that's been a big overriding

EDITH E. FORBES (585) 343-8612

1 Page 99

2 concern from the community. I'm from the
3 DEC. I work for the DEC and I didn't go to
4 work there to cut down trees. That was not
5 my objective taking a job with the DEC.
6 It's not where I'm coming from. But what
7 I'm coming from is something that Dan Watts
8 mentioned before. What we have been doing
9 up to now were called interim measures that
10 don't give us a lot of options on how we do
11 the cleanup. Basically, it's either -- it's
12 basically just removal. That's basically
13 the only option that we do under these
14 situations because that's the most

15
16
17
18
19
20
21
22
23
24
25

protective option right now.
As Dan mentioned, we are going to enter into the CMS process. And there's more than one way to get the arsenic out of the soil potentially than just removing it. We are going to look at that.
We've requested FMC to begin what's called vital remediation study. It's a pilot program. In layman's terms, it's basically planting vegetation that has a history of other sites of uptaking the

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14

arsenic out of the soil without removing the soil and then you remove the vegetation and gradually you lower the arsenic levels in the soil. I don't know if it's going to work here. We are going to look into it. FMC has agreed to do that study. That will begin next spring we hope. That will factor in the CMS that Dan was talking about.

Other options associated with trees are instead of completely removing all the soil around them, to remove them in segments so as to preserve the tree so much per year? That may also be looked into. As

15 well as looking into if there's an isolated
16 tree on your property and there's elevated
17 levels there slightly, but you cleanup the
18 rest of the property, that's something that
19 may or may not be acceptable. All these
20 things I think will be part of the
21 corrective measure study and so it will not
22 be this potentially slash and burn thing
23 that's happened before I agree. That is the
24 way it's gone down to this point. There's
25 no doubt about that. Whether that's right

EDITH E. FORBES (585) 343-8612

1 Page 101
2 or wrong, it was kind of a feeling between
3 us and FMC that some areas wanted to get it
4 over with. We both agreed that something
5 needed to be done and why wait until the end
6 of the process. But we're hearing more of a
7 concern for trees and I think we want to
8 look into satisfying your concern of the
9 trees but also achieving a cleanup that we
10 think is necessary in a lot of places.
11 That's my speech.
12 MS. HOWARD: Thank you. We
13 will now open up the floor for other

14
15
16
17
18
19
20
21
22
23
24
25

questions, other comments?

MS. STORCH: Can I make a quick, quick statement? I just want to say a plus for Brian and Deborah Overkamp and FMC. To the lady that spoke about the -- I would not be taking this stance if I felt there were any danger. Both my parents died of cancer. One was a heavy smoker and I think the other one got it from secondhand smoke.

As being a school teacher 33 years, I certainly am concerned not only

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13

Page 102

about my own health but my children and I would not be standing up here and taking this stance if I felt there were any health risks and I have researched it and I looked into moving and all this. But I have found FMC to be as most helpful as they can. They are limited in what they can do because they have the agencies ordering them what to do. But I think FMC has been a very responsive institution. I want to thank you, Brian.

MS. HOWARD: Questions for anyone in the room?

Page 103

14 MR. ARNOLD: Bill Arnold again.
15 I just want to make a comment to you as
16 well. I think it's important to understand
17 what is the level that will affect children,
18 not just to blind cleanup to some level that
19 someone else has established, whether it's
20 the agencies or whoever. You raise a
21 concern about people buying homes in
22 Middleport. It's a State Law that when we
23 sell a home, there's a two or three or four
24 page form that has to be filled out. I
25 suppose it's a form that's requested by a

EDITH E. FORBES (585) 343-8612

1 Page 103
2 realtor or a future homeowner, but has to be
3 filled out. There's an environmental
4 section and the last question has any tests
5 been done on the property for toxic
6 substances. And the answer is either yes or
7 no, but if it's yes, you have to supply the
8 data. So that data would be there for any
9 perspective buyer to look at if they wanted
10 to. If you're concerned about arsenic and
11 you're thinking about buying a home and
12 you're a little leary about Middleport, go

13 somewhere else.

14 Now, my family has owned my
15 property since 1939. It's a farm. It's not
16 a residence but a farm. My grandfather
17 worked in that farm and it's in the shadow
18 of FMC. It borders the FMC property. He
19 worked on that farm for most of his later
20 adult life and he sprayed his orchard trees
21 and he planted his garden and he hoed it and
22 everything else. And he died simply of old
23 age at 93. Nobody in my family that I know
24 of has ever suffered any problems with
25 arsenic. And my mother is -- I'm not going

EDITH E. FORBES (585) 343-8612

1 Page 104

2 to that say how old she is, but she is doing
3 reasonably well for a lady her age. In
4 fact, she insisted on digging her own flower
5 garden and planting it. This year she
6 drives her car wherever she wants to go and
7 the only medication she is on is Lipitor.

8 Now, the other thing I wanted to
9 mention was that some of my farm is in trees
10 and thick bushes. And there's a large
11 population of wild animals like deer,
12 turkeys, foxes and the like living in that

Page 105

13 area. If that gets stripped away, they are
14 not going to be there any more. I know that
15 they'll just go across the property to
16 county line and live over there just fine,
17 but I won't be able to see them any more.
18 And I think it would be ashamed to destroy
19 this natural habitat that has grown up since
20 farming ceased operations on that property
21 for the reduction of a limited elevation of
22 arsenic.

23 Now, my property has arsenic
24 ranging from below 20 to over 200. The 200
25 is along the property line of FMC. I have

EDITH E. FORBES (585) 343-8612

1 Page 105

2 no problem in remediating that. Come with a
3 back hoe or bulldozer and dig that out if
4 you want. The rest of it is pretty much
5 below 70 and most of it is below 50 and in
6 the 30 and 40 range.

7 I don't see from what I can find
8 from the studying that I've done and Liz has
9 helped me out a lot on that, that arsenic
10 levels in the 30, 40, 50 range is harmful to
11 people. Now, the State agencies have tried

12 to determine what the level would be to get
13 a one and one-million occurrence of cancer.
14 I think that whole analogy is flawed because
15 you base it on an extended exposure over a
16 lifetime of say 70 years and I believe it's
17 300 days a year of exposure. That's a lot
18 of exposure. But on the other hand, people
19 don't live in the same houses for 70 years.
20 And the soil in this part of New York State
21 is not available 300 days a year.

22 Now, you and your regulations that
23 you have written up have cited a Cornell
24 study that determined the latest frost that
25 occurred in the year and the latest frost

EDITH E. FORBES (585) 343-8612

1 Page 106

2 that occurred at the beginning of the year,
3 and determined that was a 217 day span.
4 That's less than 300, but those numbers were
5 obtained from New York City. And this area
6 is much colder than New York City. So the
7 available of soil in this area is much less
8 than even 200.

9 The other thing is if you're
10 worried about children, I don't know of
11 children who would be exposed to this soil

12 for that period of time because I don't know
13 of any children that are still playing with
14 his toy trucks in the dirt when he's 70
15 years old.

16 So I think what you need to look
17 at is what is the acute exposure to arsenic
18 not the chronic exposure to arsenic. And
19 come up with a number that represents what
20 is the danger level or the risk level of an
21 acute exposure because nobody is really
22 exposed to the same arsenic at the same soil
23 for 70 years of their life, not typically.
24 I know there is people that will live in the
25 same house all their life, but that doesn't

EDITH E. FORBES (585) 343-8612

1 Page 107

2 usually occur.

3 Back on this table over here there
4 is a document I think it starts with Health
5 Consultation and I would urge anybody in
6 here to take that document. That's the one.
7 That's an analysis of what was done to
8 determine the chronic -- I'm sorry, the
9 acute risk of arsenic in Omaha, Nebraska,
10 and it's a very comprehensive document and

11 it's an EPA document. They went through and
12 determined what amount of soil children will
13 eat through normal play or putting their
14 hands in their mouth or whatever, and
15 determined what the bioavailability of the
16 soil was in that area. They determined what
17 the risk level would be for the children,
18 which is probably a pretty standard number,
19 and they came up with a chronic exposure of
20 70 parts per million. So anything under 70
21 would be okay for children who ate a lot of
22 soil while playing. I have to believe that
23 number is probably pretty close to what it
24 would be here. And I just can't understand
25 why you would want to dig up soil that's 27

EDITH E. FORBES (585) 343-8612

1 Page 108
2 parts per million to get it down to 20.
3 That's a reduction of 7 parts per million,
4 which seems to be awfully foolish and a
5 waste of money. But a lot of people would
6 say who cares about money. FMC has deep
7 pockets, but think about what it's going to
8 be like if FMC decides to pull out and we
9 don't have an FMC. Think about what your
10 taxes are going to be. Thank you.

11 MS. HOWARD: Yes.
12 MS. HUGHES: Sue Hughes. You
13 know me. Mr. Arnold, I can answer your
14 question. Studies are showing levels as low
15 as 10 parts per million can lower a child's
16 IQ score by 10 parts.
17 MR. ARNOLD: Is that billion or
18 million?
19 MS. HUGHES: Million.
20 MR. ARNOLD: Is that soil?
21 MS. HUGHES: Soil, yes.
22 UNIDENTIFIED SPEAKER: Which
23 soil, where you got these numbers from?
24 MS. HUGHES: The number is on
25 the web site.

EDITH E. FORBES (585) 343-8612

1 Page 109
2 MR. LITWIN: Gary Litwin. A
3 lot of you said a lot of things and as the
4 two scientists up front said, there's
5 different opinions on different things and
6 quite honestly, we disagree with some of the
7 things that were said. A lot of it I don't
8 think it's worth it to go point by point and
9 go back and forth with you folks. I think

10 there are certain things though that we have
11 to address and I'd like an opportunity to do
12 that a little bit now on certain things, but
13 the bottom line is on some of these things
14 as was said many times tonight, you get
15 different scientists looking at different
16 things. A lot of these things start with
17 assumptions and different people start with
18 different assumptions or just different
19 assumptions through the work and through
20 their equations and come out with different
21 answers.

22 Different states and different EPA
23 -- well, different regions of the country,
24 there are community based legislation that
25 is like the cleanup levels in this state are

EDITH E. FORBES (585) 343-8612

1 Page 110

2 one in a million -- starting at one in a
3 million cancer risk. That's by legislation
4 because that's what the majority of the
5 people in this state want. It's not that we
6 decided that. I mean I kind of get the
7 feeling that you folks are thinking that we
8 arbitrarily just decide these things. We
9 don't. This stuff is in statute and law.

Page 111

10 The SC0's that were brought up
11 before the Part 375, the SC0's are soil
12 cleanup objectives. The state is actually
13 being sued because they're not protective
14 enough. So there's a lot of varying
15 opinions on all this stuff, but the simple
16 matter of it is if you go to Pennsylvania,
17 the cleanup standards and the cleanup
18 numbers are higher than they are in New
19 York. If you go to different states, they
20 are going to be all over the map. It's that
21 way because different states, populations
22 and constituencies demand, require, whatever
23 word you want to you use, a different level
24 of cleanup for their state and that's in the
25 legislation. And the federal law, it's in

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8

Page 111

their legislation.

So it's not an arbitrary thing
that we are just deciding up here. These
folks that are sitting here. We're public
servants trying to do our job. The one
thing I would ask you to keep in mind
through these discussions are that we didn't

Page 112

9 put the arsenic in your yards. FMC put the
10 arsenic in your yard. We are trying to come
11 up with a way to make things right for
12 everybody. And we are going to have
13 differences of opinion, I understand that,
14 but it's one thing to keep in mind.

15 As far as what you have to cleanup
16 to, being forced to cleanup to, there is the
17 issue of somebody wanting to get an all
18 clean letter and things like that, the
19 simple fact of the matter is if you don't
20 want your yard cleaned up, it doesn't have
21 to get cleaned up. As the gentleman says,
22 if you're comfortable with it and you know
23 it's here and the community is comfortable
24 with it and they know what to watch out for
25 like keep it grassed, don't let your

EDITH E. FORBES (585) 343-8612

1

Page 112

2 grandchildren play in the dirt with 200
3 parts per million under the tree or whatever
4 it is. That's fine. That's your decision.

5 Our responsibility, though, is to
6 put that exposure in perspective so if we
7 have data that says you got high levels of
8 arsenic under a tree that you don't want cut

Page 113

9 down, we say, fine, go ahead and do that,
10 but we will send you a letter that says, you
11 know, it's prudent to not play in that area.
12 You should keep it grassed and other things
13 like that.

14 There is disclosure laws. There's
15 not going to be a choice. You're going to
16 have to tell somebody about it. But if this
17 is what it is in Middleport and everybody
18 knows that, then as he suggested, if you
19 don't think that's a problem, you buy a
20 house here. If nobody wants their yards
21 cleaned up and it's all like that, it will
22 sort itself out over time. It has in many
23 communities. There are ways to save the
24 trees. We have been asked -- we were asked
25 by this community as the Senator asked us,

EDITH E. FORBES (585) 343-8612

1 Page 113
2 buck it up, let's get going and let's get
3 some of that stuff done. Well, we tried to
4 do that. If us moving ahead forward is a
5 problem, then we'll slow down and go through
6 CMS process and all this stuff will be
7 considered.

8 I've been doing this for 30 years
9 and I've been involved in soil removals in
10 communities and I got to tell you, this is
11 the first time I'm getting beat up for going
12 -- that I should go higher. Usually, it's
13 you're not taking out enough. But the
14 bottom line is, we worked in an awful lot of
15 communities, but it takes everybody working
16 together, everybody trying to understand
17 everybody else's perspective, understand all
18 the issues because they are not going to be
19 the same. As somebody said, if your
20 neighbor -- you like your neighbor's tree
21 and it shades your house and they cut it
22 down, it impacts you. It just doesn't
23 impact them. It does change the nature of
24 the community. We understand that. I don't
25 want to cut down any trees that we don't

EDITH E. FORBES (585) 343-8612

1 Page 114

2 have to cut down. I'd go further than that.
3 I mean you got some nice landscaping that,
4 you know, you've done over five years, you
5 know, there's ways to save this stuff, but
6 FMC has to be willing to do it. You have to
7 be willing to let them do it. It has to

Page 115

8 fall into the, you know, what kind of
9 clearance you want at the end of project.
10 All these things have to be considered.

11 And it doesn't boil down to just
12 what is the number. Everybody wants a
13 number. It doesn't boil down to that. They
14 ask why we are not dealing with risk and why
15 all the talk of background. Quite frankly,
16 it is because the Federal government and the
17 State government determine risk. Those
18 numbers are below background. And you can't
19 really cleanup to. So that's my in general
20 statement. But I think as far as the things
21 about the Omaha risk assessment, the number,
22 the health consultation you referred to is
23 Omaha, Nebraska, is that correct?

24 MR. ARNOLD: Yes.

25 MR. LITWIN: All right. We

EDITH E. FORBES (585) 343-8612

1 Page 115

2 don't agree with some of the assumptions
3 they do. If we were to do that health
4 consultation, we would come out with a
5 different conclusion at the end, but I think
6 it bears quickly explaining what those

Page 116

7 things are so you can consider those, also.

8 But I will tell you this, you can
9 go on the internet. You can find all kinds
10 of studies and all kinds of things that they
11 are going to tell you. The different
12 numbers are okay. You're going to find
13 equally numbers of studies that say they are
14 not. You got to look at both sides of the
15 question and both sides of the issue.

16 And once again, I will stress we
17 are a health agency. I am a health agency.
18 Our job it to be protective. You may be
19 perfectly fine with a yard in 70 or 50 or
20 200 parts per million of arsenic, but we
21 have to think about who might buy your home
22 and whether they are going to be comfortable
23 with that or not. And the choice has to be
24 up to them. They got to know about it. We
25 can't just say, okay, you're okay with it,

EDITH E. FORBES (585) 343-8612

1

Page 116

2 so case closed, you're done. There has to
3 be some notification. There has to be
4 information. I think that's only fair. I
5 don't believe any of you in this room would
6 like to go buy house somewhere else and find

Page 117

7 out after the fact that it had radon or some
8 other problem that nobody told you about.

9 So I mean there's a lot of
10 practical stuff to consider here. There's a
11 lot of ways to make this work, but it's
12 going to take everybody cooperating and
13 looking at everybody else's perspective and
14 maybe people will give a little bit. That
15 is my two cents.

16 I'm going to ask Tom Johnson here
17 to speak to the Omaha Health Consultation
18 because I think that's -- as you said, if
19 everybody is going to take that and read it,
20 I think they should hear our side of it
21 also.

22 MR. JOHNSON: Thank you. I'm
23 Tom Johnson with the State Health
24 Department. There are a number of things in
25 this health consultation that were different

EDITH E. FORBES (585) 343-8612

1 Page 117
2 -- that are different from ways we would do
3 risk assessment at the New York State
4 Department of Health. Again, there's
5 several what we call exposure parameters.

6 There are different -- these are ways that
7 scientists use to estimate how much arsenic
8 someone might actually absorb into their
9 body if they ingested it from that soil.
10 And what this health consultation did was
11 they used several factors, the 40 to 60
12 percent bioavailability factor which we
13 would not necessarily disagree with. 30
14 year exposure duration (inaudible) Part 375
15 regulations, we used 70 years exposure
16 duration. This health consultation did not
17 consider uptake of arsenic into plants and
18 vegetables and things of that sort nor did
19 it consider splash or contaminated soil on
20 to vegetation. So that's an exposure
21 pathway that was ignored in this health
22 consultation.

23 And they also used different soil
24 ingestion rates. I have to say something
25 that we do and this is maybe more Steve's

EDITH E. FORBES (585) 343-8612

1 Page 118

2 area, but our soil ingestion rates do not
3 assume 350 days or 360 days a year. We time
4 weight that according to how much time the
5 soil is actually available. So it's

Page 119

6 actually about 217 days a year.

7 UNIDENTIFIED SPEAKER: It's
8 less in Middleport.

9 MR. JOHNSON: Secondly -- if I
10 can finish. Thanks. Secondly, we also
11 consider both children and adults throughout
12 the lifespan. We consider children, young
13 children having a much higher soil ingestion
14 rate for a much shorter period of time. We
15 did not consider that the adult consumes a
16 lot of soil. We time weighted -- that soil
17 ingestion rate is much much lower. We also
18 considered that an adult would not be
19 exposed to the dirt for as many days of the
20 week as a child would.

21 So we took different stages of
22 life and made the soil ingestion rate match
23 the stage and then came up with a soil
24 ingestion rate different than what was done
25 here where the soil ingestion rates we

EDITH E. FORBES (585) 343-8612

1 Page 119

2 pretty much constant throughout.

3 So there are a number of different
4 things that we do at the health department

5 that are different from the way this health
6 consultation was done.

7 And one of the main things that I
8 want to say, too, is what Gary said before,
9 is that we make our decisions based on an
10 increased lifetime risks of one in one
11 million. What drives those soil
12 concentrations corresponding to that risk
13 downward making it more conservative is the
14 fact that arsenic is a human carcinogen and
15 secondly, arsenic has the ability to cause
16 cancer that is a higher ability to cause
17 cancer than most other chemicals. That's
18 what makes the numbers so low and by law, we
19 are constrained to make our decisions based
20 on that risk level and if that risk level is
21 lower than background, we revert back to
22 background.

23 MR. MORTEFOLIO: Matt
24 Mortefolio, from the EPA Toxicologist. I
25 thank Ros and Terry. I think they did an

EDITH E. FORBES (585) 343-8612

1 Page 120

2 excellent job with their presentations, very
3 technical material. Sometimes I struggle
4 with it and I do it all day. They did a

5 good job of putting it into layman's
6 language and identified areas where they is
7 clearly a lot of uncertainty and some
8 reasonable professionals tend to disagree.
9 Maybe I can, you know, point out a couple
10 of, you know, issues associated with that.

11 First, as Tom said, first, I think
12 I'm proud that I work for the Environmental
13 Protection Agency. You know, I'll stress
14 the P. We don't want to regulate at the
15 level where we are seeing affects. We want
16 to ensure that the American public has an
17 adequate margin of safety when they are
18 exposed to chemicals.

19 I'm very familiar, a lot of my
20 colleagues at Columbia University go to
21 Bangladesh because they had a problem there
22 with drinking water. People were getting
23 sick. Kids were dying from diarrhea because
24 they had contaminated surface water.
25 Someone came up with an ingenious idea to

EDITH E. FORBES (585) 343-8612

1
2
3

Page 121

put these punch wells in to get much much
cleaner water from a ground source. It

Page 122

4 worked phenomenally until they found out
5 that the ground water was highly
6 contaminated with arsenic.

7 Now, you can see pictures of
8 what's called Black Foot's Disease. People
9 that have extraordinary circulatory problems
10 because of high exposure to arsenic. No one
11 is getting that here not from this soil. We
12 don't want to regulate at that level. We
13 want to be way way lower than that. Okay.
14 So that's part of the discussion here.

15 You know, that, yes, Ros showed
16 that no one is showing high urine arsenic
17 from their soil. Frankly, if she would have
18 showed what was a statistically significant
19 increases in arsenic levels in the children,
20 I would have said that would have required
21 immediate action. That would have been very
22 serious if that was, in fact, to occur. So
23 we are trying to protect the public well
24 beyond affects levels. I think everyone
25 just needs to understand that.

EDITH E. FORBES (585) 343-8612

1

Page 122

2

3

As Tom pointed out, Ros, arsenic
is a powerful carcinogen. There are a

Page 123

4 handful of chemicals and in the thousands
5 upon thousands of chemicals that we normally
6 get exposed to where everyone, international
7 agencies, the EPA, every single health
8 agency agrees this is a known human
9 carcinogen. Like asbestos, like
10 biochloride, like bentine, this stuff causes
11 cancer. And we're just trying to ensure
12 that you receive the same level of
13 protection as everyone else in this country
14 that was dictated by Congress. If you think
15 we are being too conservative, yes, speak to
16 your Congressman. They are the ones that
17 set the level of one in a million. We have
18 a little more range in the EPA, a risk
19 range. I'm delighted that I live in a
20 country that we have such rigid standards
21 that we benefit from that. Much of the
22 world doesn't and I think that is a very
23 important point and it seems to be getting
24 lost here.

25 There are a couple of other I

EDITH E. FORBES (585) 343-8612

3 This lady here, the librarian, you deal with
4 facts all the time. You mention a highly
5 respected Cornell investigator, who had more
6 initial after his name, maybe akin to Terry
7 and Ros. I have quite a few myself. You
8 quoted as saying why arsenic in soil, it's
9 bound up. Ros's own research contradicted
10 that. She showed that those monkeys, which
11 is an excellent model, about 20 to 30
12 percent of it got absorbed. That's not
13 trivial. That's still -- it's not a hundred
14 percent. But that's not a trivial amount.
15 And it needs to be considered and it should
16 be considered in a risk assessment and
17 hopefully, we will consider that. But it's
18 not like it doesn't exist. It's the same
19 thing with lead in soil where I have a lot
20 more experience. Kids get exposed to lead
21 in soil and it causes increases in blood
22 lead.

23 One of the things that Ros did
24 point out, she showed that it seems to be
25 that diet and food contributes to a major

EDITH E. FORBES (585) 343-8612

3 would like to add. It's true. That is the
4 case. But most of that arsenic is inorganic
5 form and it's intrinsically less than the
6 toxic inorganic forms for use that are in
7 industry and certainly, in pesticide
8 production.

9 The other, and Ros made this point
10 in her presentation when she showed the
11 graph of the arsenic being contributed from
12 soil, she assumed 25 percent absorption.
13 Not unreasonable given the data that she
14 presented and some other data of colleagues
15 that I have a great deal respect for;
16 however, the food arsenic probably is not
17 absorbed all that well either. There's no
18 mention of that. It could even be much
19 greater the impact of food.

20 In fact, I did my own doctorate
21 dissertation work on the absorption of lead
22 from soil. Actually, used adult volunteers
23 that did this work. I was curious to see
24 how actual adults -- people absorbed lead
25 from soil. But I did two groups. I did a

EDITH E. FORBES (585) 343-8612

2 fasting group and a group that had a meal
3 and the group that was fasting absorbed ten
4 times as much. They absorbed 26 percent of
5 the dose where the people got the same soil
6 with a meal only absorbed two and a half
7 percent.

8 So the fact that you have food in
9 the stomach has a powerful affect.
10 Certainly, in lead and no doubt it does with
11 arsenic as well. I mean I know this. I
12 knew this long before I became a
13 toxicologist. I'm a pharmacologist, also.
14 And the first thing you went and had a
15 preparation filled. What does the pharmacist
16 tell you. Take this pill one hour before or
17 two hours after a meal because we know how
18 much food interferes with the absorption of
19 drugs and drugs are just chemicals that have
20 pharmacological affects as well as anything
21 else.

22 I just felt compelled to clarify
23 the record of what I thought were just some,
24 you know, some misnomers that were stated
25 here tonight. I'll be glad to answer any

EDITH E. FORBES (585) 343-8612

2 questions.

3 I'm going to end on one final
4 note, and because a lot of has been
5 discussed about this Omaha Health
6 Consultation. There another piece of
7 misinformation that said it was an EPA. It
8 wasn't an EPA. It was an ATSDR, Agency For
9 Toxic Substances and Disease Register. They
10 are a Federal agency. They work hand in
11 hand with EPA, but I just wanted to clarify.
12 It wasn't an EPA study. When I found out
13 about that, I actually contacted my
14 colleague at EPA Region 7, which is located
15 in Kansas City where the jurisdiction for
16 that Omaha web site lies. I know my friend,
17 Mike Barringer, worked on that site and I
18 called him up. He sent me this message.
19 I'll be glad -- it's an e-mail message.
20 I'll send it to anyone who wants to read it
21 for themselves. Take my word for it. Mark,
22 the health consultation can be found at the
23 following web site. And that's where it is.
24 Obviously, everyone's got that web site. As
25 I thought, they used the relative

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

bioavailability of 42 percent from the VBI
70 site data. That's called Vasquez
Boulevard site. So they didn't even do a
site specific bioavailability study. They
just borrowed it from another site. It goes
on to say, Region 7 never officially
supported this approach nor any soil values
used as cleanup goals for this site.

So it should not be perceived as
something EPA endorsed. Okay.

UNIDENTIFIED SPEAKER: The CDC
did enforce it, right?

MR. MORTEFOLIO: It's ATSDR's
document.

UNIDENTIFIED SPEAKER: Right.
CDC.

MR. MORTEFOLIO: And they base
it on an acute and we were -- as Tom said,
arsenic is a powerful human carcinogen. We
are worried about long-term exposure. I
know that not everyone is going to live 30
years and be out in the soil 217 days a
year. There is a lot of uncertainty with
the assumptions that we use. And in the

EDITH E. FORBES (585) 343-8612

1
2 face of uncertainty, yes, we do sort of, you
3 know, lean on the side of conservatism to be
4 safe rather than sorry. That's why we have
5 this, you know, extremely high level of
6 protection that we're able to afford the
7 American public. That is it. So we can
8 continue discussion, but I think this needed
9 to be said.

10 MR. ARNOLD: I'm sorry if I'm
11 taking too much time here. I want to touch
12 on a couple of points here. Mr. Litwin, you
13 said that FMC put all the arsenic here.
14 That's not true.

15 MR. LITWIN: I didn't say all
16 of it.

17 UNIDENTIFIED SPEAKER: Yes, you
18 did.

19 MR. ARNOLD: Yeah, you did.

20 MR. LITWIN: I said FMC --
21 you're right. The way I phrased it.

22 UNIDENTIFIED SPEAKER: That's
23 right.

24 MR. ARNOLD: There is a --
25 there is a definable -- but you can see on a

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

map if you plotted out the contamination, what air deposition and what the water run off is from FMC. But there's a lot of it especially on my property that was because it was an orchard area.

Now, you take a lot at some of the properties in Middleport and how they range in terms of contamination, there's some areas that are way over by the canal that are more highly contaminated than the areas in between that area and FMC. That's not air deposition. Somebody sprayed a tree on that property or sprayed the lawn for bugs. I just wanted to make that point.

MR. LITWIN: I agree.

MR. ARNOLD: This project has gone beyond what FMC has done. This project has gone into what everybody has done whoever lived here since this area was first settled or since this area started using pesticides that had arsenic in it.

This gentleman over here, I'm sorry, I forget your name. Yeah, you're right, it is 217 days in New York State. My

EDITH E. FORBES (585) 343-8612

1
2 contention is that we don't even have that
3 here because the 217 days is based on New
4 York City numbers not Western New York
5 numbers and our winters are a lot colder
6 here than New York City.

7 I agree that arsenic -- where was
8 that gentleman that was talking here?

9 UNIDENTIFIED SPEAKER: He left.

10 MR. ARNOLD: I agree that --

11 UNIDENTIFIED SPEAKER: Oh,
12 here, he is.

13 MR. MORTEFOLIO: What did I
14 miss?

15 MR. ARNOLD: Mark, I'll agree
16 that arsenic is a carcinogen. And I'll
17 agree that we should keep levels of arsenic
18 down to reasonable levels, but the
19 contention is what is a reasonable level.

20 MR. MORTEFOLIO: I agree with
21 you.

22 MR. ARNOLD: Now, really, if
23 you want to go after reducing cancers, how
24 about reducing the trans fat in the foods
25 we're forced to buy.

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. MORTEFOLIO: You shouldn't be going home and drinking a six pack.

MR. ARNOLD: How about the cigarettes. If you want to protect children, how about taking the lead out of the paint in their toys.

MR. MORTEFOLIO: We are trying to do all that. That's doesn't mean --

MR. ARNOLD: I haven't seen it done. It's just not getting done. Yet, you're here with your bulldozers and your backhoes ripping up everybody's lawn for a few parts per million of arsenic.

The other problem that I have is the number of different areas in the United States and I know it's outside of New York, but in the United States that have had cleanups. And these are approved cleanups. You may say it's not EPA, but damn it, it is EPA that has approved cleanups in other areas of the state, United States, that range all the way up to 250 parts per million in Montana. Now, those people that are there are just as human as we are. We

EDITH E. FORBES (585) 343-8612

1
2 are all subject to the same problems, the
3 same problems with chemical exposure and
4 whatever. So why is it all right for
5 Colorado to have over 250 parts and
6 Middleport can't have over 20. I don't
7 understand how it's okay for them and not
8 for us.

9 Now, I'm not saying we should have
10 250 because that is too high. I'm not going
11 to argue with that, but 20 is too low. 30
12 is too low.

13 I was going to say something about
14 the bioavailability that was borrowed from
15 Denver for the Omaha test. I guess I don't
16 understand just how much the bioavailability
17 varies from one location to another. And
18 that's maybe something I have to get
19 educated on. I don't know if it differs
20 that much or not. The 42 that's in Denver
21 may be okay for Omaha and it may be okay
22 here. I just don't see why that would be an
23 objection.

24 MR. MORTEFOLIO: I can tell you
25 why. We actually have guides on the use of

EDITH E. FORBES (585) 343-8612

1
2 bioavailability data for making decisions on
3 specific sites. And you should go to the
4 site and they have done that at FMC and
5 actually, I applaud that work. I think I
6 know the researchers that have done it. It
7 looks pretty good. I have to give it a
8 thorough review. It adheres in principle to
9 our guidance and I think it will form
10 decisions at the FMC site and will add to
11 the body of knowledge in general on the
12 bioavailability of soil born metals.

13 MR. ARNOLD: I wasn't aware
14 that FMC had a bioavailability study.

15 MR. MORTEFOLIO: And they
16 should be duly recognized for that doing
17 that.

18 MR. ARNOLD: I know there was
19 some work done with Exponent, but I didn't
20 know that there was an official number that
21 had been derived at that the agencies would
22 agree on. The fact -- or from I heard from
23 the agencies, they don't even want to
24 acknowledge Exponent ever happened.

25 DR. SCHOOFF: That's not what

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

he's saying.

MR. JOHNSON: Mr. Arnold, can I address something, too, in the bioavailability is that, again, even if we assume that it's only 20 percent of the arsenic that you get in soil is actually going to be absorbed, because we start with a one in a million cancer risk level which corresponds to a soil concentration anywhere from .1 to one part per million depending on the scenario you're talking about, with veggies and what not and all that kind of thing, you would be able to increase that based on bioavailability by a factor of five. The highest you could get that risk based soil concentration up to would be five parts per million and that is still below background so that's why the cleanup is driven by background.

MR. ARNOLD: I read the regulation and I understand what happened on that. The one in a million was really too low for arsenic and so you had to go to the background. I also reviewed how you

EDITH E. FORBES (585) 343-8612

1
2 calculated the background, but I think you
3 did a pick and choose on what points were
4 used, but I don't want to get into that.

5 Miss Hughes --

6 MS. HUGHES: Yes, sir.

7 MR. ARNOLD: I have a couple
8 comments I want to make. You're concerned
9 about -- you stated that 10 parts per
10 million caused problems with IQ's in
11 children. But I don't know that there's
12 very many locations in the United States you
13 can below 10 parts per million so basically,
14 what you're saying is that we should get all
15 our children out of the United States.

16 MS. HUGHES: No, what I'm
17 saying is that there is evidence out there
18 that even low numbers of arsenic is harmful
19 to children in the way they learn.

20 MR. ARNOLD: However, the study
21 that Exponent and showed that there was no
22 elevation in the arsenic in the children
23 here in Middleport.

24 MS. HUGHES: The study I'm
25 referring to in Michigan was done with hair

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

samples not urine and IQ testing.

DR. BOWERS: Hair. Okay.

DR. SCHOOFF: Hair.

MR. ARNOLD: Well, that's a different interpretation. I have looked for evidence of learning disabilities in children on the internet and I did come up with a site that said there was a study that showed there may be a problem with that; however, it concluded that there was so much other contamination around, they couldn't determine if the arsenic was the real cause and that may be in the study that you looked at, too.

MS. HUGHES: That wasn't.

There's several studies out there.

DR. SCHOOFF: I just wanted to offer one more observation. We have been talking about a number of specific assumptions related to risk assessment. And what Tom just said is true, is if you're decision point is one in a million incremental cancer risk, risk assessment is irrelevant for arsenic because you will

1
2 using the current EPA cancer slope factor
3 and operating within the constraints of risk
4 assessment methodology as it's laid out for
5 us now, you will be below background.

6 The only reason that we got higher
7 than background for risk based cleanups at
8 some sites around the country is because we
9 used EPA's risk range which goes from --
10 it's hundred fold range from one in a
11 million to one in 10,000. And at some of
12 these sites that have higher cleanup level
13 where they have had more research to support
14 to reduce the uncertainty, they have gone to
15 higher cleanup numbers. So if you want --
16 if you as community are interested in having
17 a risk based higher cleanup level, you're
18 going to have to get Senator Maziarz to make
19 sure it's okay for that to be applied to
20 this state.

21 MS. HOWARD: Two individuals I
22 believe had questions or comments.

23 MR. OWENS: Richard Owens. The
24 only thing I'd like to mention is we are
25 concerned about our children. I'm concerned

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page 138

that when we lose all our trees, what is the risk factor with the additional sunlight that we will be having on our kids that will be playing in the yards or is that a nonfactor?

MR. MORTEFOLIO: It is a factor. That's the part I was saying earlier is a corrective measure study. That's something that definitely should be evaluated and other options of preserving trees where in cases where arsenic removal is needed, you know, that is definitely going to be looked at and should be looked at. You know, and granted like I earlier, the remediation that's done to this point have not -- that's not occurred because we haven't gotten to that point in the process. We are in a hurry, definitely. We all agree we are in a hurry to get that point. We need to finish the delineation of the arsenic or at least delineate it within the village anyway and get that done first so we can do it separately and then move on to looking at all these issues to the

1
2 corrective measure study and evaluating all
3 the alternatives there are do to cleanup not
4 just the one that where you guys are used to
5 now that, you know, that really nobody
6 likes, but that's the only option that we
7 are currently using.

8 MS. HOWARD: Thank you.

9 MS. CRAFTS: I decided not make
10 a comment today, but here I am. My name is
11 Susan Crafts. I lived in the community
12 since 1976. I, too, am a scientist and I
13 appreciate the attentiveness of science.
14 That's the joy of science. That's why we do
15 it. So I appreciate all of the data that
16 you've given me, but I have to tell you I'm
17 a sociologist. And the process that this
18 cleanup has taken, the trajectory that it's
19 had over the years is simply wearing me out
20 and everybody else. Yes, it's 9:00 o'clock.
21 We are all tired, but I am so sick and tired
22 of coming to these meetings. I've come to
23 hundreds of them. Many of you here are very
24 familiar faces because you've been to
25 meeting after meeting and the high school

1
2 and here and Masonic Temple and we still
3 don't have data from you. We don't have
4 anything beyond this seemingly open ended
5 process that will eventually lead to
6 something called a CMS. I'm really tired of
7 that. I don't want to argue numbers with
8 you. You know, I appreciate that you have
9 different opinions than perhaps some of the
10 people out here. I do feel that we are
11 talking at cross points a lot at this point.
12 And I have been very disturbed by the amount
13 of finger pointing on both sides. I've
14 heard both condescending and a very helpful
15 speech from that side and I've heard things
16 from this side, well, problematic perhaps in
17 reaching a conclusion. I really want you to
18 think about this process. It's not working.
19 It's not working for the people in this
20 room. It's not working for the people in
21 this community and whatever the numbers are,
22 we need processed to get us through this and
23 we don't have that. We don't have any clear
24 sense of direction I think other than we are
25 going to clean it up. And I've been to the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page 141

meeting. I mean if I don't know that we have a sense of direction, I don't know who would. I've been pretty faithful. So I don't really want an answer. I just wanted to make a statement.

MR. MCGINNIS: Thank you very much, Sue. My name is Brian McGinnis. I'm with FMC. First, I'd like to thank everyone for coming. It's 9:00 o'clock at night. We have been here for three hour and you should all be applauded for coming here. I know that I greatly appreciate it. Some of you know FMC has been meeting with a community input group that was put together by Mayor Maedl. She asked FMC be part of that. The reason she put it together is she wanted to hear what FMC had to say. She wanted to make sure we heard what the community had to say. And this has been going on close to a year now. And I think the meetings have all been extremely productive. I thank all the people that have come to those meetings.

At our last meeting we did -- the last couple of meetings we discussed where

1

Page 142

2

do we go from here, what's next and we

3

listened to what the community was saying

4

and we went back and tried to formulate a

5

plan and if I could, I'll read that off for

6

you and they are in no particular order.

7

And this is all subject to agency approval.

8

We will put it together. We'll put it in

9

front the agencies. We got to get their

10

approval to move forward with it. And I

11

think, you know, we discussed these with the

12

agencies and I think we are 90 percent in

13

agreement I think at least.

14

For 2008, like I said, these are

15

in no particular order. One is perform a

16

fito remediation study to evaluate the

17

effectiveness of specialized plants on the

18

remedial arsenic. People talked about that

19

here tonight. We're right now working on a

20

work plan to submit to the agencies for

21

their approval.

22

We also want to continue to

23

complete our corrective action management

24

unit application and submit that to the

25

agencies for the management of soils,

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

remediation soils on sites -- on the FMC
plant site.

Another thing, the third thing is
to continue our efforts to obtain some grant
funding to demolish the unsound buildings on
the former Noco property. It's a win win to
get a grant. Those buildings like most of
you know on the Noco property are really
pretty sad, they are ready to fall down. We
need to do some work on that property to
remove some arsenic that's there. But it's
really going to be difficult for us to do
with those old dilapidated buildings there.
We've been working with the village to try
and put some grant applications together. I
believe some -- I don't know if a grant
application went in for that particular
project. I know some grant applications did
just go in. I believe they went in, didn't
they? They went in on Friday. Great, cross
our fingers and we will get you guys some
money.

Forth, in the air deposition area,
FMC based on feedback from what we heard,

1
2 was we are not going to propose any future
3 remediation be performed in 2008 in that
4 area. Rather, we believe and what we heard
5 is that we should complete the -- I hate
6 acronyms, the RFI which is the RCRA Facility
7 Investigation. We need to complete that.
8 Get it sent into the agency for approval and
9 start a corrective measure study for the air
10 deposition area, which will evaluate
11 remedial alternatives like Matt was talking
12 about and we are also going to propose we
13 perform a site specific risk assessment for
14 that area.

15 Fifth thing on here is some
16 possible remediation in 2008 out in the
17 field. But this would be on culvert 105
18 going north of Sleeper Street.

19 We are also proposing to complete
20 our investigation for the rest of culvert
21 105 and get that turned into the state and
22 get it approved.

23 And also, to begin and possibly
24 complete the remedial investigations for

25

100107.TXT
tributary 1 south of Pearson Road. So what

EDITH E. FORBES (585) 343-8612

1

Page 145

2

we are attempting to do is we'll talk to the
3 community input group about is try and take
4 littler chunks rather than trying to take
5 one big chunk because it is a large area and
6 try and break it up so it's easier for us to
7 handle and it's also easier for us to
8 understand and hopefully, easier for you to
9 understand.

10

Those are the things that we'd
11 like to do next year. We're having another
12 community input meeting in November. I
13 don't know the date. Mayor Maedl might know
14 the date. I don't know it off the top of my
15 head.

16

MS. MAEDL: The 5th.

17

MR. MCGINNIS: The 5th. Thank
18 you. It's the 5th. You're all welcome to
19 come. That's why we have the meetings,
20 listen to your concerns and listen -- are we
21 doing the right thing, are we going the
22 right way. But we think this is the plan
23 that's been formulated. We will continue to
24 talk to residents and take their input.

Page 147

It's been a great year for me. I

EDITH E. FORBES (585) 343-8612

know a real learning experience to listen to
3 everybody and hear their comments. I really
4 appreciate your participation. Thank you
5 very much.

MS. HOWARD: Several people

have said I'd it's 9:00 o'clock, but I'll

just ask one more time, are there any other

questions or comments?

MS. STORCH: My name is Liz

Storch. And I think it's too low. I'm

going to drive home down the street. I

think -- what is my risk of being killed

just leaving this building. If you have a

child growing up, it's like this law is so

low for cancer. It's like if you have a

child, you never want him to leave the house

because they might get -- this happened,

this happened, this happened. I just think

that's -- how do we do that politically?

DR. SCHOOFF: I'm just a

scientist.

MS. STORCH: I didn't approve

24 that. I was never asked. It was never a
25 referendum, you know, what do you consider a

EDITH E. FORBES (585) 343-8612

1 Page 147

2 viable --

3 DR. SCHOOFF: The Senator has
4 left. He's the one you need to ask.

5 MS. STORCH: Okay. I just
6 think, you know -- I just think it's a
7 matter of extremists. There are places in
8 Middleport that do need cleanup and I'm so
9 glad that the air deposition area is going
10 to maybe be heard.

11 MS. HOWARD: One more call for
12 questions? Okay. We ask that you please
13 make sure that you've signed in. If you
14 have cards and you've expressed concerns,
15 please make sure that we have those. We
16 will bring them back to the community input
17 group. And they are collecting the cards in
18 the back. There is Mrs. Wiskit. She's
19 collecting cards. Again, thank you all for
20 coming and remember the input group is
21 meeting again in November.

22 (Whereupon the proceedings
23 concluded at 9:05 p.m.)

24
25

EDITH E. FORBES (585) 343-8612

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

Page 148

C E R T I F I C A T E

I, DOREEN M SHARICK, do hereby certify that I have reported in stenotype shorthand the Arsenic in Soil Public Hearing at the Middleport Fire Hall, Middleport, New York, on October 1, 2007.

That the transcript herewith numbered one through one hundred forty-seven is a true, accurate and complete record of my stenotype notes.

DOREEN M SHARICK
Notary Public.

100107. TXT

23

24

25

EDITH E. FORBES (585) 343-8612